

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

COMMISSION ON WATER RESOURCE MANAGEMENT

STATE OF HAWAII

PETITION TO AMEND INTERIM) CCH-MA13-01
INSTREAM FLOW STANDARDS FOR)
HONOPOU, HANEHOI/PUOLUA (HUELO))
WAIKAMOI, ALO, WAHINEPEE,)
PUOHOKAMOA, HAIPUAENA,) VOLUME 9
PUNALAU/KOLEA, HONOMANU,)
NUAAILUA, PIINAAU, PALAUHULU,)
OHIA (WAIANU), WAIOKAMILO,)
KUALANI (HAMAU), WAILUANUI,)
WAIKANI, WEST WAILUAIKI, EAST)
WAILUAIKI, KOPIILIULA, PUKAA,)
WAIOHUE, PAAKEA, WAIAAKA,)
KAPAUULA & HANAWI and MAKAPIPI)
STREAMS)
-----)

CONTESTED CASE HEARING

Taken on March 16, 2015, commencing at 9:24 a.m., at
the J. Walter Cameron Center, Conference 1, 95
Mahalani Street, Wailuku, Maui 96793.

BEFORE: Jean Marie McManus, CSR #156

1 APPEARANCES:

2 LAWRENCE H. MIIKE
Hearings Officer

3

4 DEAN UYENO, Hydrologist Manager
REBECCA ALAKAI, Planner

5

6 LINDA CHOW, ESQ.
Deputy Attorney General
State of Hawaii

7

8 DAVID SCHULMEISTER, ESQ.
ELIJAH YIP, ESQ.
Cades Schutte LLP
9 1,000 Bishop Street, Suite 1200
Honolulu, Hawaii 96813

10

Attorneys for HC&S

11

12 ALAN MURAKAMI, ESQ.
CAMILLE KALAMA, ESQ.
SUMMER SYLVA, ESQ.
Native Hawaiian Legal Corporation
1164 Bishop Street, Suite 1205
14 Honolulu, Hawaii 96813

15 Attorney for Na Moku Aupuni Koolau Hui

16 CALEB P. ROWE, ESQ.
KRISTIN K. TARNSTROM, ESQ.
17 Deputy Corporation Counsels
County of Maui
18 200 S. High Street
Wailuku, Hawaii 96793

19

Attorneys for County of Maui
20 Department of Water Supply

21 ISAAC HALL, ESQ.
2087 Wells Street
22 Wailuku, Hawaii 96793

23 Attorney for Maui Tomorrow

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

INDEX

HEARINGS OFFICER WITNESSES:	PAGE
JAMES PARHAM (Via Skype)	
Cross-Examination/Na Moku	5
Cross-Examination/Maui Tomorrow	79
Cross-Examination/HC&S	95
Recross-Examination/Na Moku	129
Recross-Examination/Maui Tomorrow	135
GLENN HIGASHI	
Cross-Examination/Na Moku	140
Cross-Examination/Maui Tomorrow	186
Cross-Examination/HC&S	195
Recross-Examination/Na Moku	223

1 HEARINGS OFFICER MIIKE: I'm Larry Miike,
2 the Hearings Officer.

3 We'll go back on the record. Counsel,
4 appearance.

5 MS. SYLVA: Summer Sylva, Camille Kalama
6 and Alan Murakami for Na Moku Aupuni O Koolau Hui,
7 and Lurlyn Scott and Stanford Kekahuna.

8 MR. HALL: Isaac Hall for Maui Tomorrow and
9 its supporters.

10 MR. SCHULMEISTER: David Schulmeister and
11 Elijah Yip for HC&S.

12 MR. ROWE: Deputies Corporation Counsel
13 Caleb Rowe and Kristin Tarnstrom for Maui County
14 Department of Water Supply.

15 HEARINGS OFFICER MIIKE: Dr. Parham, I had
16 ask that you and Glenn Higashi come and testify at
17 the contested case hearing, because of the modeling
18 and the application on those streams, the 16 streams.

19 First, I would like to call -- unless
20 there's any objections -- I would like to qualify
21 Dr. Parham as a hydrologist and aquatic biologist.

22 We've all read your reports, so rather than
23 my taking you through anything, if you have anything
24 briefly to say, then I'll just open it up to
25 questions from the parties, okay?

1 DR. PARHAM: I'm fine. I'll be glad to
2 take any questions you have.

3 HEARINGS OFFICER MIIKE: The court reporter
4 wants to swear you in.

5 JAMES PARHAM
6 Was called as a witness by and on behalf of the
7 Hearings Officer, was sworn to tell the truth, was
8 examined and testified via Skype as follows:

9 CROSS-EXAMINATION

10 BY MS. SYLVA:

11 Q Good morning, Dr. Parham. My name is
12 Summer Sylva. I am counsel for the petitioners in
13 this hearing.

14 You prepared a declaration dated
15 November 10th, 2014, for these proceedings. Is that
16 correct?

17 A That is correct.

18 Q And is it a true and correct statement of
19 your testimony you're prepared to give today?

20 A Yes, it was prepared prior to the report
21 that Glenn Higashi, Skippy Hau and I did on the
22 monitoring for the East Maui streams, so that was not
23 included in that part of the declaration.

24 Q Any other changes to the declaration
25 besides the inclusion of that 2015 report?

1 A I am looking over to see. I think it's
2 pretty current.

3 Q You also submitted a resume together with
4 your declaration. Is that accurate?

5 A Yes, that's what I was just going at.

6 At the time of submittal, it was accurate.
7 I may have published a few things, and I think I have
8 a role on the Executive Board for the Tennessee
9 American Fisheries Society, but that's a three-year
10 position and just lapsed last month.

11 Q Any other publications to be added to your
12 resume outside of the 2015 study you just referenced?

13 A Nothing that would have to do with this
14 case or Hawaii streams.

15 Actually, I will say it isn't yet
16 published, but we just finished, or are close to
17 finishing with the review through the Army Corps of
18 Engineers using this technique on Manoa Stream on
19 Oahu, but it is not published yet, but that is in the
20 works and almost complete.

21 Q Do you know why you were asked to prepare a
22 declaration for today's proceedings?

23 A I guess just from my various work on those
24 set of streams.

25 Q Inclusive in that work is your role as lead

1 developer of the Hawaiian Stream Habitat Evaluation
2 Procedural Model, correct?

3 A Correct.

4 Q Can you briefly describe how that model
5 works?

6 A Sure. I will try to be brief.

7 But basically it's a habitat model that's
8 based off the U.S. Fish and Wildlife Service, Habitat
9 Evaluation Procedural Models. And the point of those
10 models is to come up with a standard accounting
11 approach to assess impact in any sort of habitat.
12 That's used for birds and animals and fish, so it's
13 not an aquatic-specific approach, but it provides a
14 standard framework to assess how changes might
15 happen.

16 And in the case of the Hawaiian streams,
17 we're looking at variability in how the animals are
18 distributed within the streams, and then variability
19 on how they use habitat locally. And all that is
20 captured within the model. And we then apply
21 changes. In the case of East Maui, return of water
22 or changes in the passage of barriers to reflect the
23 changes in the habitat unit.

24 Q You mentioned that the model can be used to
25 assess impacts for any number of species. With

1 respect to this study in particular, did you consider
2 non-instream species or animals?

3 A No.

4 Q So would that include the fish that would
5 be -- would otherwise be in the estuaries at the
6 stream mouth, but not like native amphidromous
7 species that use the streams for their life cycle?

8 A Correct. We did not consider those
9 species. We were requested to do the sort of -- I
10 won't say standard -- but the suite of native
11 amphidromous species. So that's what we applied in
12 this case.

13 And at the time of this East Maui work, we
14 probably were not ready to address the estuarine
15 species at that point also since this is the first
16 application of the approach.

17 Q How about at this time, are you prepared if
18 asked, to provide an assessment with regard to
19 estuarine species impacted by streamflow --
20 streamflow outputs, I should say?

21 A I would probably say no. We have a
22 substantial amount of information on that, but we
23 have quite a bit of modeling done on the issue. We
24 have a lot of information on the species, but a
25 direct relationship between streamflow and the

1 estuary is still not clear.

2 In other words, we don't have, if you add 2
3 million gallons a day or something, you will get this
4 effect in the estuary. That is not clear at this
5 point. So would I say we are not ready to do that.

6 Q Now, with respect to the November 2009
7 publication entitled The Use of -- I'm going to use
8 an acronym -- HSHEP. That will be my reference to
9 your Hawaiian Stream and Habitat Evaluation Procedure
10 model. So the title again of that publication, The
11 Use of HSHEP to Provide Biological Resource
12 Assessment in Support of Instream Flow Standards for
13 the East Maui Streams.

14 Can you confirm that you were the lead
15 author on that publication?

16 A Yes, I was the lead author.

17 Q And in your declaration, you indicate that
18 you worked together with researchers from the State
19 of Hawaii and the Division of Aquatic Resources.

20 Is that also correct?

21 A Yes, that's correct.

22 Q Do you recall who worked with you from the
23 State of Hawaii?

24 A Yes, Glenn Higashi, Robert Nishimoto,
25 Skippy Hau, Darrell Kuamo'o, Lance Nishiura, Troy

1 Sakiyara, Troy Shimoda, and Timothy Shindo.

2 Q And are all of those names that you just
3 identified all associated with the Division of
4 Aquatic Resources, correct?

5 A Correct. Bob Nishimoto has since retired.
6 And I think actually maybe Troy has moved on to a
7 graduate program, but I think Glenn could better
8 answer that question.

9 Q And it appears that this was the only study
10 specifically referenced to in your declaration,
11 again, outside of the 2015 publication, which
12 happened after your submission. But I would like to
13 know are there any other studies of which you were a
14 lead author concerning the 27 petition streams?

15 A No, I was not lead author on any other
16 studies.

17 Q Okay. How about a co-author on any other
18 studies concerning the 27 petition streams? And that
19 would be inclusive of the 2015 study at this point.

20 A I was co-author on the whole series of
21 stream survey reports that came out for those set of
22 stream.

23 In other words, DAR was the lead in the
24 field, and then I helped them design the reporting
25 system and statistics mapping and worked with their

1 folks to do that. So I was a co-author on a whole
2 series of at least 15 publications on the various
3 streams.

4 Q And are those identified in your resume or
5 in your resume publication list?

6 A They should be. Let me -- if I'm looking
7 away, I'm looking at a second computer screen with my
8 resume, and they are referenced. Glenn Higashi was
9 the lead author on those studies.

10 Q Any other studies which you were a
11 co-author concerning these 27 petition streams?

12 A I don't know of any that were specific.
13 I'm sure I have not co-authored on anything that was
14 specifically to those.

15 We did work that addressed streams
16 statewide in which those would have been part of
17 them, but they were not focused on the instream flow
18 issue for the East Maui streams.

19 Q How did you become involved with this
20 November 2009 publication in particular?

21 A I've been working on modeling Hawaiian
22 streams for quite a number of years. And when DAR
23 approached me to sort of develop a model to help
24 answer the specific question. We went through that
25 process.

1 We had been doing a lot of modeling prior
2 to this, and this was sort of the first case that
3 came up where they needed an answer as opposed to
4 sort of an academic approach to the question.

5 Q And the question again, can you state the
6 specific question you were trying to answer with
7 respect to your modeling?

8 A So what would be the impact of either water
9 restoration or water removal on habitat for the
10 native amphidromous species in the East Maui streams.

11 Q Did you make any assumptions about the
12 availability of freshwater for off-stream uses at the
13 outset of your study?

14 A The assumption was that the USGS reports
15 documented that. So we used the data from
16 Gingerich's 2005 report, I think it was, describing
17 the distribution of water and its uses, and we built
18 off that. We did not go out and do any additional
19 work in determining the distribution of water, where
20 it was going, and things like that.

21 Q And did you make any assumptions about the
22 degree to which water flow would or could be restored
23 to these streams that were the subject of your study?

24 A I'm sure we did make some assumptions. I
25 would have to think. So the model lays out the

1 assumptions, based on what we would expect. So I
2 spin over there and sort of walk through those
3 assumptions. But the majority of this modeling
4 approach in the report used Gingerich and Wolff's
5 USGS study on the flow relationships between habitat
6 and discharge to apply that to the model.

7 So, again, I guess the assumption is that
8 the work that had been done by USGS was valid. So
9 that would probably be the primary assumption. But
10 there are multiple other assumptions in terms of how
11 the model is designed.

12 Q Did the model consider or contemplate what
13 the full restoration of all 27 streams as a possible
14 scenario?

15 A Yes -- Oh, no, I take that back. We did
16 not do all 27 streams.

17 When I became involved in this, the first
18 eight streams had already been decided, and the
19 second 19 streams were the consideration.

20 So during the modeling run, actually the
21 whole state of Maui was done -- not the whole state,
22 the whole Island of Maui was done, so all streams on
23 Maui were considered. But we reported only those
24 streams requested by the Commission on Water
25 Resources.

1 Q Were your results or -- yeah, your results
2 or the study results with respect to full restoration
3 of at least the 19 streams under consideration, was
4 that provided to the Commission at the conclusion of
5 your study?

6 A It should have been. I can look right in
7 the report. One of the assumptions of the model is
8 that we calculate what would have been there
9 naturally without those diversions in place, and then
10 we sort of also calculate the amount that is at the
11 current condition, or at that point, the
12 fully-diverted condition. And then we returned water
13 at various amounts to achieve different restoration
14 targets.

15 So there should have been -- and I can go
16 back and double check -- but by definition we should
17 have had full restoration flows. That would have
18 been the streams without diversions reported. That's
19 sort of a fundamental modeling step.

20 Q If you have your report next to you, can
21 you just briefly point to where that data set is
22 provided for?

23 A Sure. It may not be in one simple table,
24 but starting at Table 4 -- I'm trying see a page
25 number, it's not jumping up on my screen right now --

1 would be for the *Awaous guamensis*, going through
2 Table 12 shows each species individually and then the
3 summary of the total amount of habitat for each.

4 For example, Table 12, it has the stream
5 name, watershed ID, and total habitat units in the
6 stream, which would be the undiverted condition. And
7 then it follows with the various loss of habitat
8 after flow diversion or various species, so that you
9 can calculate all that.

10 Q So basically the third column identifies,
11 on Table -- the third column on Table 12 identifies
12 the 100 percent flow restoration scenario; correct?

13 A Correct. Actually, it would be 100 percent
14 flow restoration and passage and no entrainment,
15 meaning the diversions would not exist. This is not
16 only returning the water at the diversion, it's
17 actually if the diversions were not in the streams.

18 Q Got it.

19 Now, you mentioned that the first eight
20 streams were excluded because they had already been
21 decided. What was your understanding about the
22 treatment of the eight streams prior to the
23 commencement of your study?

24 A I think the decision had been mostly for
25 taro production, but I was not involved in any of

1 that. So when I was first approached, we came on
2 board, that was already decided and I was not a party
3 to any of it. So I have very limited understanding
4 of how the first eight streams were treated.

5 Q Do you think that the first eight streams
6 would benefit from a similar kind of assessment with
7 respect to instream flows and their variable impacts
8 to biotic resources?

9 A Yes, I do. And we had attempted to achieve
10 that, but we were not able to get that done in time
11 for this hearing. In other words -- well, basically
12 we weren't able to get that completed, but it would
13 definitely help to put them all on the same sort of
14 platform and look at the changes across the board.

15 Q And can you identify sort of what kind of
16 benefits would come from knowing, you know, the full
17 27 streams, the totality or cumulative impact of
18 that?

19 A Sure. From a water management or fisheries
20 management perspective, humans are absolutely part of
21 the equation. This isn't sort of an academic
22 approach where we are saying there will be no human
23 impact in the system. And so having all 27 streams,
24 all the segments included in it, you would be able to
25 prioritize the management actions to get the best

1 bang for the buck, the best amount of habitat
2 returned per unit water across all 27 streams.

3 And it could be distributed by geography
4 and location. And you also can choose for the
5 simplest and cheapest actions. And you could go all
6 the way up to complete restoration of water. So it
7 gives the managers an approach to sort of compare
8 across the whole set of streams looking at the best
9 action that allows most water to be used for human
10 activities, and most habitat to be created for the
11 native stream animals.

12 Q And I think you said it more than once that
13 in defining best action, it seems as though you're
14 defining that as most water use available for human
15 use or consumption, together with flows that are
16 minimally impactful on stream species.

17 Is that your definition of what "best
18 action" in terms of management of streams?

19 A I think it's a continuum. The continuum is
20 100 percent water diversion, maximum use for humans,
21 to 100 percent water restoration, which is maximum
22 for the animals.

23 The decision where that lies is a
24 management decision. The modeling approach allows
25 all of the specific points in between those two

1 extremes to be considered.

2 So it's not so much from my perspective
3 that any one of those is correct. It's merely that
4 we could look at the various actions in terms of what
5 would be sort of the first action that you could take
6 to return the most habitat with the least water. So
7 sort of step-wise through actions that may provide no
8 benefit to the animals, but ultimately could cost a
9 lot of money to achieve.

10 So from the modeling perspective there is
11 really not a consideration of what the final answer
12 is. It's laying out all actions ranked from top to
13 bottom in terms of sort of the most habitat returned
14 per action.

15 Q Now, you mentioned that you had undertaken
16 stream studies or an assessment that would begin
17 looking at the eight streams that were excluded from
18 your study. Is that still ongoing?

19 A That was never funded, so we are not doing
20 that, no. The work had been done in the way the
21 modeling works as far as the computational side of
22 the effort was completed during this section, but as
23 far as the analysis of the results, the actual
24 writing of a report and looking at all the various
25 species within the model, none of that was ever done.

1 Q And if that was something that was
2 requested of you, do you know approximately how long
3 that would take, or how close you would be to
4 providing that kind of report?

5 A I think it depends on the extent of the
6 reporting. There's a couple of things that have
7 happened since then. One, we've approved the
8 modeling work over time as we applied it to different
9 situations. So if we wanted to have the latest
10 updated things, it would take a little bit more time.

11 We do also have all the calculations
12 already done exactly the same as presented in this
13 report. I think a lot of the timing and effort
14 involves how extensive the report would be. Do we
15 need to go back through and meet with USGS and meet
16 with State folks to assess each site and each impact
17 as we did in this report, or is it merely creating a
18 set of tables in which managers can look at and
19 decide what their actions would be.

20 So there's quite a bit of range of
21 possibilities here determining on how intensive we
22 need to look at each site within the eight streams.
23 Each site -- I mean above and below each diversion
24 and how they impact gaining and losing reaches, the
25 designs of the diversion, fish paths and all those

1 different aspects.

2 Q Could you parse out what it would take to
3 create similar table sets for the eight streams that
4 you created for the 19? Is that as involved -- I
5 mean, does it require the same sort of intensive
6 study and assessment you just described, or is it
7 something that could be generated on, you know, a
8 relatively shorter timetable?

9 A Well, it definitely could be generated on a
10 shorter timetable. I would like to say that working
11 with DAR on the final results and then on to their
12 recommendation and understanding what the model
13 meant, there are results from the model that are not
14 necessarily accurate once we apply other information
15 known to the system that's not modeled. For example,
16 losing reaches, things like that.

17 And so just producing tables here without
18 some level of looking at the other factors, some of
19 the things that USGS was working on that were outside
20 the model would probably be inappropriate. It may
21 lead to misleading information even though the
22 numbers are technically computationally correct.

23 Q In your resume I believe you list a number
24 of studies specific to the eight streams. And the
25 lead author was Higashi, Dr. Higashi.

1 Are those the kind -- well, if you -- I
2 believe it's on page 7 of your resume, and it
3 provides -- it's a report on the individual streams
4 probably inclusive of the kind of factors including
5 like stream characteristics that you've just
6 described.

7 Would you be able to look at those studies
8 already generated in conjunction with the modeling
9 you have available to you presently to come up with
10 that kind of table I earlier referenced?

11 A Yes and no. Those reports do not cover
12 some of the work that USGS was doing in terms of
13 things like gaining and losing reaches. They're
14 covering all the survey work that the Division of
15 Aquatic Resources has been doing in that area to make
16 sure it was updated and that the sort of best
17 available information from a biotic and GIS
18 perspective from Division of Aquatic Resources'
19 approach was available.

20 So they do not include everything that
21 would be in those type of sections. There's other
22 pieces. But the information does exist, so it's not
23 that we need to go back in the field to collect the
24 information, that's not what I was saying.

25 It's that in general we would probably meet

1 with USGS and Division of Aquatic Resources to walk
2 through the results and make sure the results fit
3 with what everybody knows from their field surveys,
4 and adjust it where there is something that is
5 obviously not taken into account.

6 Q In paragraph eight of your declaration you
7 describe -- you identified the four goals of the East
8 Maui streams HSHEP report. And I'm going to assume
9 you're familiar with those goals, and I'm going to go
10 straight to my questions pertaining to a few of them.

11 With respect to the diversion influence or
12 impact on the first goal, which was distribution and
13 habitat availability of native stream animals, can
14 you just briefly explain why distribution is an
15 important consideration, separate and apart from
16 habitat availability?

17 A Sure. Those are the two main issues going
18 on, these are amphidromous animals, and they migrate.
19 They're born in the streams, and they drift to the
20 ocean as larval fish. They develop in the ocean, and
21 they return to the streams and move upstream to their
22 adult habitat.

23 So distribution in the stream can quite
24 easily be impacted by diversion in that the stream
25 may be dry below the diversion and not allow the

1 animals to move upstream. And it may, the animals
2 may also be entrained in the diversion and swept
3 away.

4 So the natural distribution of these
5 animals, some of them should be found upstream of
6 these diversions or in the immediate area of the
7 diversion, and their natural distribution, not just
8 the habitat, but they can actually get to that and
9 habitat is addressed in this model.

10 So both local habitat and the ability of
11 the animals to use that local habitat are included in
12 the model.

13 Q Now, going onto stream goal No. 4 -- I'm
14 sorry -- the report goal No. 4. With respect to
15 prioritizing habitat and passage restoration among
16 the streams of concern in East Maui, what values
17 informed basically those priorities?

18 A Sure. I'm going to scroll down. I think
19 if you -- Table 13 in the report is the result of
20 that work. And it looks at both the effect of the
21 flow diversion on the loss of habitat and passage,
22 but it also looks at entrainment issues and passage
23 issues specific to the diversion itself.

24 And so prioritization is based on the
25 amount of habitat units lost as a result of the

1 different characteristics of the diversion and
2 potentially how much could be restored by fixing that
3 problem.

4 And so entrainment is, or entrainment or
5 barrier issues are included on one side, and then the
6 flow diversion over lack of habitat is addressed as
7 those two pieces.

8 So two different things are happening, and
9 then they're prioritized, laid out in a rank system,
10 which action would result in the most habitat.

11 I will also say this table shows why we
12 need to work with the other partners in the field as
13 Honomanu resulted in number one, but in discussions
14 with USGS they felt that that was a losing reach for
15 much of the lower end of that stream, and water
16 restoration would not result in reconnection of that
17 stream, nor perennial habitat in that area. So
18 ultimately that was removed as a flow restoration
19 priority.

20 Now, that's -- again, that's an overall
21 possibility, sort of the wisdom of the folks that
22 were doing the work in the field. But in terms of
23 ranking, this is a perfect example of how you can see
24 which actions would result in the most habitat in a
25 stepwise sequence.

1 Q And so those values are actually sort of
2 inherent in the modeling as generated by you. They
3 weren't values identified by some third party, is
4 that correct? Am I understanding you correctly?

5 A No, these are the output of the HSHEP
6 model.

7 Q And earlier you indicated that, you know,
8 while the assessments were limited to the 19 streams,
9 the modeling itself was used for all 27 streams; is
10 that correct?

11 A Correct.

12 Q Going onto paragraph 9 of your declaration,
13 you identify three broad areas associated with the
14 impacts on native stream animals' habitat, and
15 enumerated they are basically the loss of habitat,
16 barriers to -- let me back up a little bit.

17 These are impacts on habitat as a result of
18 diverted conditions. And so they include loss of
19 habitat, barriers to movement or migration of stream
20 species, and then entrainment of those stream animals
21 in ditches.

22 You know, to a layperson, those three
23 things sound like negative impacts. Would you agree
24 that that's an accurate characterization of those
25 impacts as a result of the diversion?

1 A Yes. I would agree with that.

2 Q Would any of the above impacts be
3 characterized as positive? Can you imagine a
4 scenario where a diverted condition or ditch system
5 would have a positive impact on stream animal
6 habitats?

7 A Yes. Just totally depends what the
8 management objective is. And so, for example, in
9 some cases we have endangered damselflies or
10 endangered species above some of these diversions,
11 and introduced predatory fish have gotten in the
12 stream, and the diversion or the barrier is
13 preventing the upstream movement of these introduced
14 animals. This is a completely unnatural situation.

15 But allowing passage in some of these
16 places would allow a predator to move on up into
17 otherwise predator-free habitat, and might result in
18 a case where you harm otherwise endangered native
19 species.

20 So, again, that's sort of a -- it's not a
21 natural situation. But are there cases where, from a
22 management perspective, you may not want to open on
23 up passage to some areas.

24 Q And was that kind of factor considered in
25 these modeling results that you generated?

1 A It was not. In the set of streams we dealt
2 with, introduced species were not an issue, and the
3 upstream position of the aquatic insects was not
4 considered.

5 Q And can you -- so that scenario or that
6 hypothetical was with respect to aquatic insects.
7 Can you imagine a similar scenario for instream
8 native amphidromous animals?

9 A Yes. For example, if small-mouth bass were
10 stocked in the lower end of one of these streams,
11 East Maui is less likely to have -- East Maui has
12 extreme streams with many waterfalls, so the natural
13 upstream movement of non-climbing animals is going to
14 be limited.

15 But in sections where there was no
16 waterfall to stop the animals, if the barrier was the
17 only thing, if the diversion was the only thing that
18 stopped non-climbing species, you could see a
19 situation where say small-mouth bass might move
20 upstream and prey on native fishes.

21 This, again, is not happening on East Maui
22 right now, and would likely be very minimal on East
23 Maui, given the geomorphology of the streams.

24 Q On paragraph 11 of your declaration, you
25 describe that your modeling predicts the bearing

1 impacts from the restoration of streamflow. I
2 wondered -- and then you go on to say that there are
3 some streams for which little gains would be made by
4 the restoration of stream flow.

5 Would you explain basically why that would
6 be the case?

7 A Sure. It's the combination of the species'
8 differential ability to migrate, and their
9 differential habitat use. Not all species will be
10 found in all places in all streams. And then the
11 habitat that's found in these streams are not going
12 to be necessarily the same. You might have different
13 habitat in the lower reach and the upper reach. And
14 then the location of the diversion and the amount of
15 water that it's diverting may be completely
16 different.

17 In the case of these 19 streams, there were
18 streams that were undiverted. And so there was no
19 impact of flow diversion on those streams, and so
20 therefore, restoration of flow was not an action
21 needed. And there were other streams in which the
22 amount of water that was removed was small in
23 comparison to the amount of water that was retained
24 in the stream, and, therefore, the impact on habitat
25 would be less than a stream in which 100 percent of

1 the water was removed. So the variable amount of
2 water that was taken out would have a big difference
3 in the amount of habitat loss.

4 And there was one more situation that
5 occurs in which some of these streams have multiple
6 diversions going up the stream. If the animals, as
7 they migrate back from the ocean, move upstream and
8 face the very first barrier dry section and
9 entrainment, they have to pass that before they can
10 get to the second one, and then they have to pass
11 that before they can get to the third one. So
12 there's already been a substantial decrease in their
13 ability to use the most upstream habitat.

14 Therefore, the restoration, even if the
15 flow amount was identical diverted at each diversion,
16 the impact would be differentially felt because of
17 the position of the diversions within the stream and
18 related to each other.

19 Q Now, for modeling purposes, which streams
20 did you identify as undiverted streams? And if
21 there's someplace in your report where that can
22 easily be identified.

23 A If we go to the report, I think, as I
24 walked through, I want to say, it might be Ohia. I'm
25 going to check that.

1 Okay, so Ohia Stream comes in. The stream
2 was not expected to have any loss of habitat as no
3 diversions were located on this stream.

4 And then that becomes, by definition, you
5 will see no impact from diversion where no diversion
6 exists.

7 Q And if I'm looking at one of your tables,
8 where could you -- where would that fact be readily
9 identified?

10 A Well, I will start on Table 4 as I --
11 almost has to be in there. I will check though. One
12 moment.

13 So, Ohia in Table 4, about midway down,
14 there are 228 -- I'm on Table 4 -- 228 habitat units,
15 there are 228 still there after flow diversion, 228
16 still there after any barrier.

17 In fact, given there's no barrier or flow
18 diversion, there's no loss in the AG habitat or
19 Awaous Guamenis habitat to this. Loss is zero.

20 So it looks like Nuaailua is also in that
21 case. I can go back and check the reading on why the
22 loss is zero. Most likely it's because there is no
23 diversion on that.

24 Q And from you -- you can stay on that table
25 and then just identify any other of these streams

1 that you assessed by way of your modeling which fit
2 the category of non-diverted streams. Would those
3 Nuaailua and -- a?

4 A I would have to go back and look. The
5 table here, it is possible that the location of the
6 diversion is not having an impact on the species.

7 So in other words, if you're a lower-end
8 species and the diversion is extremely far upstream
9 and it diverts a small amount of water, it might not
10 have an impact on that species. So I would actually
11 have to look at what was described for that watershed
12 to know why it's being scored that way.

13 And we can do that pretty easy. Let me get
14 to the page where it's described.

15 Q I think it's page.

16 A So it does appear that this one does have a
17 diversion on it, but it did not impact that species.

18 Q Now, from a purely scientific perspective,
19 are these kinds of little gains a reason to not
20 restore streamflow to a specific stream?

21 A From a purely scientific perspective,
22 you're asking me a management question, so there's no
23 simple answer to that. This is a value judgment for
24 humans.

25 From a science perspective we're merely

1 answering how much habitat is returned for each
2 action. The valuation on that is a management
3 decision.

4 Q If the objective or the goal were to
5 benefit the stream animals, would little gains be
6 then a reason to nonetheless support restoration of
7 streamflow?

8 A Yes. If the goal is 100 percent
9 restoration of native amphidromous species habitat,
10 by modeling definition, 100 percent removal of the
11 diversions would be the action that would be needed
12 to accomplish that. That's sort of by default.
13 That's how it's designed.

14 Q You also identified in your declaration,
15 and also through your study, three streams that had
16 the greatest potential for restoration of habitat
17 units as Honomanu, Puohokamoa and East Wailuaiki; is
18 that correct?

19 A I'm checking to see what I said -- yes,
20 that is correct.

21 Q And can you briefly, if you know offhand,
22 why these had the greatest potential for habitat
23 restoration?

24 A So, in general, and this is where I caveat
25 by saying that you do -- that we do need to address

1 each segment of each of these streams specifically
2 and what's happening. But in general, you're going
3 to get more habitat return in streams that are
4 larger. In other words, just more habitat to begin
5 with, streams that have a diversity of habitats,
6 meaning there is a low end where the lower species
7 can get in there before it climbs deeply in the upper
8 habitats, so you have a wider range of habitats that
9 supports more different species.

10 And then where the diversions have a
11 greater impact, meaning they take more water out in
12 their design, entrains more animals. So it would be
13 a combination of those things that would lead an area
14 to sort of the maximum impact. There's a lot of
15 natural habitat, and all of that natural habitat or
16 majority has been lost. So those areas would have
17 the greatest restoration potential.

18 Q And from a modeling perspective, your
19 modeling in particular, those kinds of streams that
20 fit that type of -- that have those traits or
21 characteristics would qualify, I think you said this
22 before even through your testimony today, as
23 providing the biggest bang for the buck kind of
24 habitat restoration return?

25 A Yes. The final determination of biggest

1 bang for the buck in working with the Division of
2 Aquatic Resources included additional factors outside
3 of the modeling. So how difficult it was actually to
4 achieve some of these things, how much water would be
5 returned and all kinds of things. But, yes, from a
6 strictly animal perspective, those would be the areas
7 that would result in the greatest amount of habitat,
8 and therefore most likely benefit the animals the
9 most.

10 Q And then you stated that DAR came up with
11 sort of factors outside of the modeling,
12 considerations that you did to Honomanu further
13 refine, I guess, and identify the streams with the
14 greatest habitat potential.

15 Besides stream characteristics such as
16 losing reaches, were there other factors communicated
17 to you by DAR in terms of, you know, their
18 consideration?

19 A Yes. And I think it's documented, it's in
20 your writing in different responses. I'll have to
21 hunt and pull that up. One moment, please.

22 So I will be looking at a letter from Bob
23 Nishimoto to CWRM, what their recommendations were.

24 Q Before you begin looking at that, just can
25 you provide me with a date?

1 A Sure. It's coming up here right now. And
2 I don't know if this is the final date or anything.
3 This is just what I have. April 1st, 2010, to Ken
4 Kawahara from Dr. Nishimoto.

5 Q Appendix C to Dr. Higashi's submitted
6 testimony today. Okay, go ahead.

7 A And in there, again, I just read this in
8 the last day, there was the list of things. It's the
9 first paragraph on the second page:

10 "DAR used several criteria to reassess the
11 streams recommended for restoration. First, the
12 amount of habitat units currently lost to diversion
13 was considered." This would have been from the
14 modeling.

15 Second, seasonality with dry season was
16 considered. Third was related to losing reaches,
17 which we discussed. Fourth, was consideration of
18 restoration stream systems most biologically impacted
19 by dewatering.

20 Fifth was the number and difficulty of
21 modifications. In other words, how hard would it
22 actually be to achieve this. And then, six, we
23 considered if efficient use of water in terms of rate
24 of habitat units restored per CFS water return.
25 That's sort of the biggest bang for the buck

1 approach.

2 And then seven, we evaluated whether
3 restoration of streamflow along a given stream
4 segment involved commingling of stream and ditch
5 water.

6 And then finally, we attempted to
7 geographically distribute the streams across the
8 entire East Maui system.

9 Q So you were familiar with this letter and
10 the recommendations and reasons for the basis for
11 those recommendations prior to this report being
12 submitted to Ken Kawahara; is that correct?

13 A I'm not quite sure which -- when you say
14 this report --

15 Q Or the contents of this letter. Were you
16 aware and in agreement with the recommendations of
17 DAR prior to this letter's submission on April 1,
18 2010?

19 A I was asked for my opinion on various
20 aspects of this letter, but I did not draft this
21 letter. So I was asked to help on some of these
22 various aspects if, for example, we discounted losing
23 reaches, what would the result be; or if we looked at
24 how difficult it would be to restore some of these
25 diversion locations.

1 Some of them are very hard to get to, and
2 we scored various systems. DAR provided what they
3 thought would be those, and we added that to the
4 results.

5 So, yes, I was aware of a portion of this,
6 and helped in determining the order in which these
7 streams would be selected, based on the modeling and
8 based on their additional criteria, but I didn't
9 write this letter.

10 So does that answer your question?

11 Q Yes, it does. I'll come back to the letter
12 in more detail a little later.

13 Attached to that -- before we move on to a
14 difference set of questions, attached to that letter
15 were reports or one-page tables for DAR's priority
16 ranking.

17 Did you also look at and provide some input
18 on the assembly of those one-page reports as well
19 as --

20 A Yes.

21 Q And then the Table 1, I believe, which was
22 a recommended East Maui streamflow ranking --

23 A One second. I'm getting to that table.

24 Q There are actually three tables.

25 A Yes, I did help in getting those numbers to

1 DAR.

2 Q And do you know whether similar kinds of
3 reports were prepared for any of the streams that
4 were part of your modeling study but not included as
5 an attachment in this letter?

6 In other words, there's only eight reports
7 of this kind in the letter dated April 1, 2010. Were
8 similar tables or reports for each stream prepared
9 for the 19 that were part your modeling study?

10 A Off the top of my head, I do not remember
11 whether all 19 streams had an individual result, but
12 I, from a modeling perspective, I would say that,
13 yes, all 19 were assessed using the same
14 classification, and that's how DAR ultimately decided
15 on what they felt was their recommendation.

16 So they had the whole list, and then they
17 responded with this, what we feel would be our
18 recommendation. Which eight they chose and why is
19 DAR's decision, not mine. But I would have, where I
20 did this, I would have provided the results for all
21 19 in order.

22 Q Did you actually prepare these tables? And
23 the report?

24 A No. I don't think I did the final tables
25 here. I think this was a collaborative effort. I

1 did provide numbers from my work to them on the
2 various portions --

3 Q So you could --

4 A -- but this was -- Aquatic Resources did
5 some of this.

6 Q But you could provide the same kinds of
7 numbers for the streams that were omitted from this
8 2010 report, is that correct?

9 A I think I could. I may have trouble on the
10 grade sections. Things like point of diversion,
11 effort to fix, those were determined by Division of
12 Aquatic Resources, and their folks would actually
13 visit those sites.

14 And then efficiency of water use and things
15 like that were some of DAR's work in terms of their
16 expertise. And so while I may have the complete
17 tables, I don't know that I do, but I was not the one
18 that was determining that.

19 So I could produce all the stuff from the
20 modeling, which is basically over on the white side,
21 and the stuff from the watershed atlas, which I'm
22 author of, I would have that available too.

23 Q I'm going to go back to your declaration
24 for a moment. Paragraph 13, you indicate that one
25 result of your modeling was the need for both habitat

1 and passage to achieve suitable habitat for native
2 amphidromous animals in East Maui streams.

3 My question is, are both habitat and
4 passage necessary to support all of the biological
5 functions required for the full life cycle of these
6 native amphidromous stream animals?

7 A I'm not positive I understand. There are a
8 few animals living in these streams, so none of this
9 would be absolute to have an individual in the stream
10 to achieve the best result for the amount of water
11 returned.

12 You could easily have a case where you
13 return water and see almost no biological affect if
14 you didn't address these factors, and that would be
15 from a management perspective the worst of all
16 scenarios. In other words, everyone losses.

17 So I don't know if I'm even answering your
18 question.

19 Q I guess my question was: It appears that
20 based on both the report and the statements made in
21 your declaration, that habitat availability, together
22 with passage, passage made available for these stream
23 animals, that both are needs or requirements to
24 support the life cycle of these animals. Life cycle
25 from the ocean larval stage all the way to their

1 upward stream migration, habitat occurrence and then
2 stream migration downwards again to sort of begin the
3 life cycle once more.

4 Is that a correct understanding?

5 A I think it's a little over general. Some
6 of these species will not occur above the diversions
7 naturally, and therefore passage would not be an
8 issue for them.

9 Passage would be an issue for the climbing
10 species that go above the diversions. So it's a
11 species-specific issue. The general idea of what
12 you're saying, I would agree with. But it's species
13 specific and diversion and stream specific issue.
14 That's why we result in all these various rankings,
15 it's not same on every stream or for every species.

16 Q I understand. Thanks for clarifying that.

17 Now, with respect to those streams species
18 that require passage, based on your study and/or
19 analyses to date, how would, you know, CWRM best
20 assure, insure, that passage was available to those
21 species requiring it?

22 A I will defer that. I have opinions and
23 experience in fish passage, but I'm not a fish
24 passage engineer that would address each of those
25 sites, and design them appropriately. So it's

1 probably either too broad a question, or I may not be
2 the correct expert to ask.

3 Q Who -- do you know anyone who was involved
4 with the study that would have been the appropriate
5 person to answer that kind of question?

6 A Well, I guess I can back up. I think
7 there's a lot of people who would have good input in
8 it, myself included. But it's a specific diversion
9 situation.

10 In other words, if the diversion is far
11 upstream and the 'opae, the shrimp, is the only one
12 that's passing, they have a different climbing
13 ability than if this diversion was located
14 downstream, and we're trying to pass three or four
15 species.

16 So it's a site-specific question. And that
17 would be not only in terms of how the diversion was
18 designed originally, but what species are you trying
19 to pass, and what the morphology of the site looks
20 like.

21 So it's a hard generality to say that they
22 should do the same thing at each site. I actually
23 don't agree that there is one approach that would
24 solve all problems in terms of an engineering
25 approach. There are multiple ways to move animals

1 past barriers.

2 Q In the same paragraph -- yeah, I
3 understand -- in the same paragraph that I referenced
4 from your declaration, you actually elaborate on
5 the -- how diversions can entrain animals, and
6 reducing the barriers and potential entrainment, the
7 positive effects of doing that kind of mitigation. I
8 guess that's sort of the general approach that I was
9 trying to get to.

10 Do you have an opinion as to sort of those
11 more general statements that were actually opined on
12 in your declaration?

13 A Okay, sure.

14 In general, these streams above the
15 uppermost diversion are undiverted, and in general,
16 in near pristine condition. There's not a lot of
17 development in these upper watersheds. They're well
18 forested. They're in very nice condition above the
19 uppermost diversion.

20 And so the connection of that habitat is
21 sort of a very effective way to gain lots of very
22 suitable high quality habitat. Stopping the animals
23 from getting to that very high quality upstream
24 habitat is almost a huge loss in a sense, and the
25 model reflects that, in that if the animals can't get

1 to the habitat, it does not matter how nice the local
2 habitat is. And there are substantial sections of
3 streams in these East Maui streams that are in very
4 nice local condition.

5 And so the location of the diversions below
6 them has a big impact on how many animals can get up
7 there.

8 The second problem, even if we allow
9 upstream passage into these areas, and we do see
10 adult animals above some of these diversions, the
11 babies that they produce drift downstream and under
12 low to moderate flow conditions 100 percent of the
13 water is diverted, in which case we are losing all of
14 the babies that these animals are producing. That
15 also was addressed in the model.

16 So that lack of connectivity from beautiful
17 upstream habitats in a lot of these streams, and the
18 ocean in both the upstream migration and the
19 downstream migration is addressed, and is one of the
20 primary issues that is based in these sections.

21 So restoring water only returns habitat in
22 some of these sections and does allow the animals to
23 move to the diversion. But the passage at that
24 diversion could sort of lose a lot of the gains that
25 you potentially might get.

1 Again, that's site specific and species
2 specific, but for your upstream species, that's a
3 major issue. And given that East Maui is a steep
4 stream area, the upstream species are the ones that
5 would occupy the majority of the stream habitats.
6 That's where we are running into the problem.

7 So that would be my general response to
8 your question.

9 Q Now, I guess I can get more specific. But
10 site specific, and to some extent, species specific,
11 are you familiar with the fish passage modification
12 on Honopou Stream at Haiku Ditch?

13 A I am familiar, but I would need to be
14 refreshed as I see many, many diversions, and I would
15 want to make sure I'm talking about the exact one you
16 are.

17 So do you have either a verbal description
18 or a picture?

19 Q Yeah, I think we're going to pull up a
20 picture for you right now. Hold on one second.

21 I'll come back to that question.

22 A If you can forward me any of those
23 pictures, I'll probably get them -- if you know a
24 list of these diversions you're going to ask about,
25 I'll probably get them in a minute, you can see them

1 on this end, if that's possible.

2 HEARINGS OFFICER MIIKE: Perhaps you can
3 ask that question of Higashi. He probably knows more
4 about individual diversions.

5 MS. SYLVA: Okay, we'll reserve that for
6 Higashi. Thank you.

7 Q You also reference that in addressing some
8 of these passage issues that the -- while the cost
9 may be high in the short-term, the benefits accrue
10 for years to come.

11 What sort of short-term cost did you have
12 in mind when making that statement? I'm referring to
13 your declaration.

14 Actually, our court reporter didn't catch
15 the first end of your response, so could you repeat
16 your answer once more? Thank you.

17 A Sure. Sorry about that. Actually, I don't
18 even know what I was saying.

19 Q You were starting to talk about the high
20 cost associated with the -- the short-term high cost
21 associated with addressing these passage issues.

22 I believe you began your answer with
23 construction cost being one of them.

24 A Sure a lot these sites are -- the access to
25 them is difficult. And to get in there and do the

1 modification could be costly. Some of the designs of
2 the diversions don't lend themselves to an easy
3 modification. A few of the just the designs, just
4 basically how the stream is laid out, and the
5 diversion was built, lend themselves to very easy and
6 effective fish passage issues.

7 So the actual location, and then what needs
8 to be accomplished varies with each of these sites.
9 So there clearly would be -- some of these sites that
10 would be more difficult to accomplish. And then
11 ultimately the cost would be higher in the
12 short-term.

13 Q And the benefits, can you briefly describe
14 the benefits that you believe would accrue for years
15 to come to these animals?

16 A So the benefits are enumerated in the
17 report and the model. If fish passage and decreased
18 entrainment at these sites is achieved, then you
19 would gain all of that potential habitat unit over
20 those areas, and ultimately have that many more fish
21 over time.

22 So I guess with the accruing over time is
23 looking at the population response for the native
24 species, that they have a lot more habitat to live
25 in.

1 Q In paragraph 14 you discuss -- you begin it
2 by saying: From a system optimization perspective,
3 enhancing passage, avoiding entrainment, and
4 restoring habitat should all be maximized together to
5 achieve the best ecological impact for the smallest
6 restriction of use of the water.

7 I wondered if you could first start out by
8 defining what you understood to be the system? Which
9 system are you speaking of?

10 A From the management of the water for humans
11 and for all of the other uses, and in this case,
12 looking at off-stream use of water versus instream
13 use of water to benefit native species. That
14 actually is reflected in one of the tables that we
15 looked at earlier.

16 Restoration of flow is important
17 undoubtedly, but it is not the only thing to be
18 concerned with in trying to restore habitat for these
19 animals.

20 So a combination of those three things,
21 restoration of flow, enhancement of passage, and
22 avoidance of entrainment would result in the greatest
23 habitat gains for the species while allowing the most
24 flexible use of water for humans.

25 Q And so in your opinion, when the optimal

1 levels are reached by way of like these management
2 practices, then the human uses as well as the native
3 habitats are being served. Is that essentially the
4 correct assumption?

5 A Well, that's by definition a management of
6 resources goal. That is what management of resources
7 is about. It's management of resources for human and
8 the environment. So it's a definition of natural
9 resource management.

10 It's not my personal position, but that's
11 sort of what management is all about. Where on that
12 spectrum to 100 percent diversion to 100 percent
13 restoration is a management choice.

14 HEARINGS OFFICER MIIKE: Are you going to
15 be going on for quite a lot more?

16 MS. SYLVA: I think so.

17 HEARINGS OFFICER MIIKE: Let's take a
18 ten-minute break.

19 (Recess was taken.)

20 HEARINGS OFFICER MIIKE: Back on the
21 record.

22 Q (By Ms. Sylva): Paragraph 15 of your
23 declaration, you reference how testing these
24 different management scenarios, which we discussed in
25 some detail in your previous testimony, was an

1 important product of the modeling that you performed.
2 And you go on to indicate that scorecards were
3 created for each stream to highlight instream
4 conditions and potential restoration benefits. And I
5 just want to get some clarity on the scorecards that
6 you're referencing.

7 Are they the reports that were attached to
8 Appendix C, which is that April 1, 2010 letter that
9 we discussed in some detail earlier, or is it
10 something else?

11 A No, those are -- yes, that is correct,
12 those are the scorecards.

13 Q So back to your statement, you say that
14 scorecards were created for each stream. And as
15 we've already discussed, only eight were provided for
16 in that letter.

17 So is it your understanding that there are
18 actually additional scorecards for the remaining
19 streams that were created as a result of your
20 modeling?

21 A That's a good question. I guess I may be
22 inaccurate there. I am almost positive that the data
23 for those eight scorecards was created. They may not
24 have created the graphic for all of those streams.

25 I'm looking actually right now to see if I

1 have all of them. I find eight streams clearly. I
2 would have to take more looking to see if the other
3 ones had been done. So I think I was incorrect. I
4 think it's for sure for those eight streams, but I'll
5 just stop there.

6 Q Okay, no problem.

7 You go on to say in paragraph 16 of your
8 declaration that the reports that were generated for
9 the East Maui streams that were a part of the
10 modeling study, were combined with professional
11 judgments of DAR staff, and then some of the local
12 mitigating factors that we have discussed already.

13 I wondered if you could -- basically who at
14 DAR was -- who were you referring to at DAR with
15 respect to, you know, issuing the kind of
16 professional judgments contemplated here?

17 A I think that's pretty broad including
18 probably most everyone in the authorship list. And
19 Dan Polhemus was Administrator at that point, maybe
20 some other folks. But it was -- it sort of depends
21 on what the question was asked.

22 For example, Skippy Hau, Maui biologist,
23 spends a lot of time, and so he knows a lot more
24 than, for example, I would about the local
25 conditions. But it was sort of a group discussion of

1 DAR's expertise.

2 Q And did DAR communicate to you at any time,
3 any of their professionals with whom you were
4 working, what priorities they were trying to achieve,
5 or what kinds of objectives they were trying to
6 satisfy by using the modeling study you provided?

7 A I think generally, yes.

8 Q And what were they?

9 A That's a pretty broad question. I think it
10 goes back to the original point of the report, which
11 is could I help them come up with an objective
12 approach to understanding the benefits of flow
13 restoration and fish passages and mitigation for the
14 entrainment throughout the East Maui streams, so that
15 when different issues came up, we could assess them
16 systematically and apply that to the results
17 appropriately without it being an opinion-based
18 approach.

19 In other words, we saw what came out of the
20 model, and then we're talking about how DAR adjusted
21 it based on their professional judgment of things
22 like, this actual site would be extremely difficult
23 to deal with, and therefore, it may not be the number
24 one choice. So that they provided sort of a list of
25 the fees or the cost of modifying a diversion, for

1 example.

2 And they would be able to generate that, we
3 could apply that to the results systematically and
4 see what happens. So we were trying to avoid an
5 opinion-based approach. So each diversion was
6 assessed using the same criteria, and then they may
7 have provided me that, and I matched it up with
8 everything and returned the results.

9 So, yes, we worked together. The overall
10 goal was to figure out the rank of the best things to
11 do to restore habitat in that set of streams.

12 Q And the local mitigating factors, can you
13 confirm that those were factors outside of the
14 modeling consideration and informed by DAR's
15 professional judgment as well?

16 A Correct. Those were things that were not
17 included in the model design and, therefore, by
18 definition, could not be captured in the results.
19 And so we addressed those case by case, or DAR looked
20 at those case by case so that we could adjust the
21 results appropriately.

22 Q And did DAR -- to your understanding, was
23 DAR also the entity responsible for providing data
24 specific to assessing the difficulty in modifying
25 diversion structures, or did that information -- was

1 that derived elsewhere?

2 A I think it would be a combination. I think
3 the Water Commission also provided information on
4 that, given that they have plans on some of these. I
5 think the various entities that run the diversions
6 may have provided information into that.

7 USGS, which had done work out there, also
8 had information on it. I don't know exactly who
9 provided what. That wasn't what I was working on, so
10 I can't answer that specifically. But I don't think
11 it was only DAR. I think it was the available
12 information.

13 Q And you speak sort of broadly in your
14 declaration about DAR's final recommendations. What
15 do you know about DAR's final recommendations? And
16 can you pinpoint precisely what you know and whether
17 it was -- whether you're referring to the
18 recommendations made in 2009 or 2010?

19 I'm just trying to get an understanding as
20 to what you mean by final recommendation?

21 A I think I'm referring to the 2010. And I
22 guess I would have to be refreshed on the 2009
23 recommendations. They may have been the
24 recommendations directly out of this report in which
25 additional things were brought up by other folks who

1 know a lot about different issues. And so by 2010
2 DAR had taken in comments from various folks and
3 tried to account for that. I think that's how I
4 would characterize it.

5 Q I think that's fairly consistent with what
6 I understand. But I can point you, if you have a
7 copy of Dr. Higashi's submission for these
8 proceedings, Appendix B.

9 A I do not have that.

10 Q Okay. It's a letter dated December 15,
11 2009, so it would have been from Dan Polhemus, and it
12 would have been immediately subsequent to the
13 November 20th, 2009 study, or publication, I should
14 say.

15 A I do not have that at my disposal.

16 Q You don't have a copy of that letter?
17 Okay.

18 Well, I represent to you that I'm reading
19 specifically from that letter. There's just a few
20 statements in there that I would like to get your
21 opinion on as to whether or not you are in agreement,
22 or whether you're modeling supported the
23 recommendations or the statements made in that
24 letter.

25 One quote on page 2 of that letter states:

1 "While the return of the hundred percent of
2 the diverted water and elimination of diversion
3 structures would be the most desirable IIFS for
4 protection and management of native stream animals,
5 the DAR recognizes that this position is not
6 compatible with the ongoing needs for water by the
7 people of Maui."

8 With respect to that first portion of the
9 sentence regarding the return of a hundred percent of
10 the diverted water, and the elimination of diversion
11 structures as the most desirable IIFS for protection
12 of management of native stream animals; do you agree
13 with that statement?

14 A I would probably change the word "desire".
15 From a modeling perspective, it is the maximum
16 potential habitat restoration by definition. So as
17 designed, the complete restoration of flow and
18 removal of diversions would result in the maximum
19 that you could do in this case.

20 So from my perspective it's not really a
21 desire, it's a point, one of the end points on the
22 model. That would be your best possible achievement
23 for habitat units in this case.

24 Q And the second part of that sentence, DAR
25 recognizes that that position or that sort of

1 modeling end point, if you will, was not compatible
2 with the ongoing needs for water by the people of
3 Maui.

4 What did you -- did you have an
5 understanding about what the ongoing needs were at
6 the time that you undertook this study?

7 A In a general sense, yes. But my position
8 here is not as a manager. So my position is to
9 support the managers in their decision-making, and so
10 if -- it's not really -- it doesn't really make any
11 difference to the model. The one extreme of the
12 model is 100 percent diversion of all flow; and the
13 other extreme of the model is 100 percent restoration
14 of flow.

15 So I'm not valuing any judgment on those
16 positions, merely supplying them sort of an objective
17 approach to determine what set of actions they may
18 like to do.

19 Q And if information were made available to
20 you that alternative freshwater sources were
21 available to meet the ongoing needs of the people of
22 the Maui, would that at all impact some of the input
23 you provided to DAR with respect to the modeling
24 recommendations?

25 A No. It is outside of the modeling

1 recommendations. If we wanted to build a larger
2 model for water optimization for Maui, you could
3 include that in there and then you could look at the
4 cost benefit of those approaches, but that's outside
5 of the modeling we did here, and sort of outside
6 of -- this is not answerable by me right now.

7 It's also -- again, I'm not the manager in
8 the situation. I'm not trying to value their
9 decisions. That's actually what Aquatic Resources'
10 goal or job is.

11 Q So getting back to your 2010 understanding
12 of DAR's final recommendations, that is specific to
13 the April 1, 2010 letter, correct, that you have in
14 front of you?

15 A Yes.

16 Q And so this was your working understanding
17 of the final recommendations DAR made based on some
18 of the modeling results generated by your study,
19 correct?

20 A Correct.

21 Q I'm going to point you to the first bullet
22 point in the second paragraph of that letter, and ask
23 whether or not you basically agree with some of the
24 positions stated.

25 As to the first bullet point, can you read

1 that?

2 A Yes, I can. Would you like me to read it
3 out loud?

4 Q Please, yeah.

5 A The first bullet point: Minimum viable
6 habitat flow (H_{\min}) for the maintenance of suitable
7 instream habitat is defined as 64 percent of the
8 Median Base Flow, base flow discharge 50, also
9 defined as H_{90} by the USGS studies. DAR expects that
10 these flows will provide suitable conditions for
11 growth, reproduction and recruitment of native stream
12 animals.

13 Q Are you in agreement that the modeling
14 supports that DAR recommendation?

15 A No. It's not that the modeling doesn't
16 support that. This is what I would call an input to
17 the model that results in an output. So the model
18 isn't, in this case, defining median baseflow or
19 anything like that. So this is --

20 Q So let me rephrase my question.

21 So the 64 percent of median baseflow is
22 derived from an accurate value that could be
23 generated from the model, is that right?

24 A No, this would be an input.

25 Q I'm sorry, input.

1 A So if by definition DAR says that
2 64 percent of median baseflow or habitat will be
3 improved 64 percent by restoration of half of the
4 median baseflow, then we would apply that to the
5 model to get the result.

6 So this is an input definition to the
7 model, not an output of the model itself.

8 Q Do you agree -- well, understanding that
9 you agree with the statement that DAR expects that
10 those flows, the 64 percent of median baseflow would
11 provide suitable conditions for growth, reproduction
12 and recruitment of native stream animals?

13 A Do I personally agree with it, are you
14 asking? Or are you asking whether the modeling
15 supports that? I'm not sure.

16 Q Whether you agree -- I guess my question
17 is, whether you agree as a scientist, based on your
18 knowledge as a biologist, as a hydrologist?

19 A It's a very difficult question to answer.
20 But if this was all I had, I wouldn't be able to
21 answer it. I think the 2015 report supports this
22 contention.

23 Q And what specifically in the 2015 report do
24 you believe supports this contention? What in the
25 2015 report can you point to supporting this

1 contention?

2 A There was two seasonal flows defined.
3 There was a winter and a summer flow, and it in
4 general, this first bullet point would have been the
5 winter flow. Whether it turned out to be exactly
6 that, I'm not positive, but in general this is what
7 was trying to be achieved by the winter flow.

8 And the second bullet point was trying to
9 be achieved by the summer flow.

10 And so the results of the survey that DAR
11 conducted suggests that little was achieved by the
12 summer flows, and there was evidence of positive
13 improvements during the winter flow.

14 So this value appears still with some gray
15 and some room for dispute, but it does appear to
16 produce positive habitat and potentially species
17 responses.

18 Q And you reference that little was achieved
19 with respect to the summer flow that was described in
20 bullet point number two.

21 Can you expound on that a bit with respect
22 to the 2015 study?

23 A Yes. It's unclear, so the application of
24 seasonal flows is a coherent approach. There's
25 nothing wrong with the idea. But the actual amounts

1 that were used was tested in the monitoring report.

2 Now, there's a lot of gray in this.

3 There's a lot of reasons it could have been done

4 longer, and more complete and everything, but there

5 appears to be little or no biologic or habitat

6 response to the restoration or the very small amounts

7 of flow that were returned during the summer.

8 There is no measurable response in any

9 gains that were observed in the winter season prior

10 in either habitat, or the appearance of species

11 appear to be lost in the subsequent summer. So there

12 doesn't appear to be anything, there is no evidence

13 basically, no values that we could see that suggest

14 that those summertime flows were advantageous to the

15 animals.

16 Q So based on the study results, the 2015

17 study results, would you agree that seasonal approach

18 to setting an IIFS should be abandoned? I mean that

19 it does not support the kind of suitable conditions

20 for growth, reproduction, and recruitment of native

21 stream animals?

22 A The application in this case is not

23 supported. The concept was not confirmed to work or

24 not -- for example, if the wintertime flows had been

25 returned during the summer and complete flow

1 restoration had been done in the winter, that would
2 have been a seasonal flow approach, and we might have
3 seen completely different results. So the concept of
4 varying flow over times is well supported in
5 fisheries. It may not apply on East Maui, and it
6 does not appear to be the correct flow amounts in
7 this application.

8 Q So with respect to bullet point number two,
9 can you, based on the 2015 study, can you -- are you
10 able to tell us whether or not the streams achieve
11 the kind of connectivity that was minimally required
12 or contemplated at the time that this minimum flow
13 was recommended?

14 A It doesn't appear that it was successful
15 for what it was intended. There are a few -- there
16 are a few 'opae did move upstream, and there was a
17 few changes here, but it does not appear -- going
18 backwards, the intent was that during these low flow
19 periods the animals would be able to drop into stream
20 pools and live.

21 So we should have seen them all there, and
22 they should have been swimming around. They may not
23 have been able to reproduce and their babies not made
24 it to the ocean, but the adults should have been seen
25 in these sites.

1 They were seen in a number of the winter
2 periods, and then they were gone again the next
3 summer. And then they might appear again
4 sporadically. There wasn't a very clear signature to
5 this.

6 So if the thought was that the animals
7 would be able to move under this flow, and then
8 maintain the habitat, that does not appear to have
9 occurred.

10 Q Can you explain -- I'm going to skip to
11 bullet point number five. And specific reference to
12 the use of trans-basin water diversions from ditches
13 to restore stream sections. And the recommendation
14 that they should be avoided where at all possible.

15 Can you provide some explanation for that
16 statement, and what trans-basin water diversions are
17 specifically?

18 A Sure. This is not my personal
19 recommendation, although I agree with it.

20 The overall concept here fits with the
21 modeling concept in which we are not -- or the model
22 was designed not to suggest that we divert water from
23 one stream to build beautiful habitat, theoretically
24 more than 100 percent habitat in another stream.
25 That would actually be a net negative, because you

1 would have lost habitat in one stream to gain it in
2 another. So natural flow was determined to be the
3 objective.

4 In other words, this is what these animals
5 live in, so we're not trying to create something
6 different here. That's not to say there aren't
7 situations where that could be done, but from a
8 modeling perspective, sort of the best approach,
9 would have been natural flow in all streams.

10 So trans-basin flow, moving it from one
11 stream watershed or one stream to another, would
12 result in an overall negative. It couldn't achieve
13 the 100 percent natural flow objective. So at a
14 modeling side that is built into the modeling.

15 On the second side of it, you have issues
16 of moving species from one watershed to another which
17 may not be appropriate. For example, if introduced
18 species get into one watershed, then they are
19 spreading into other watersheds. That causes a whole
20 secondary problem.

21 So from the management of aquatic resources
22 it also has additional value. From a modeling
23 perspective, it's actually designed in as part of the
24 overall assumption.

25 Q The latter part of your answer kind of

1 started to address the subsequent bullet point,
2 correct, with respect to commingling of stream and
3 ditch flows?

4 A Yes.

5 Q And the avoidance --

6 A So that would be one possibility. Now, if
7 the commingling of stream and ditch flows are only
8 from the same stream, you wouldn't have this issue.
9 But if practicality, the way the divergence work,
10 they start cutting across watersheds, and therefore,
11 collecting flow from three or four or five different
12 streams, and then adding it to a stream and taking
13 out again has the potential to move species among
14 watersheds.

15 Q Are you aware that this commingling, the
16 risk of commingling, and then the option to avoid
17 that where at all possible, inform CWRM to opt
18 against restoring -- CWRM staff anyway -- to opt
19 against restoring streamflow to certain, what we
20 would describe as conveyance stream. Do you
21 understand what a conveyance stream is?

22 A Yes.

23 Q So it informed an opinion to opt against
24 restoring streamflow to avoid that commingling risk.
25 Is that -- is the risk of commingling or is the lack

1 of streamflow preferred over commingling? I guess
2 that's my question.

3 A That's a value judgment from a management
4 perspective --

5 Q How about from a biological --

6 A -- it would depend on the situation and
7 what you're worried about.

8 Q How about from a biological perspective?

9 A I would have to give the same answer.
10 There's good evidence that, for example, letting the
11 Asian carp into the Great Lakes could result in huge
12 economic damage and huge species damage. And in that
13 case, restricting water between those two water
14 bodies would be a giant priority.

15 So it depends on what your objective is and
16 your specific location. So in general, I don't have
17 an answer for that.

18 Q Practically speaking, do you at least
19 understand that during high flows that the ditch
20 system often overflows, and during these high flows,
21 commingling inevitably occurs, because overflows are
22 then released into down -- the streambeds, you know,
23 below the diversions themselves.

24 Are you aware of that occurring naturally?

25 A Not so much naturally, but yes, it occurs.

1 Q Right. And so there's complete avoidance
2 of -- that kind of commingling is not, practically
3 speaking, a real option; correct?

4 A I would disagree.

5 Q And can you explain --

6 A I don't think practically it could be
7 achieved. It's not currently the design. So it
8 would be a case-by-case basis again. It depends on
9 what your objective is. There could be cases where
10 having the ditch flow contained within a pipe where
11 it crosses would be advantageous. I can't really
12 comment on the particular site where it may or may
13 not -- the decision to make commingling, or to do it
14 or not, would be a site-specific decision based on a
15 series of objectives, to try to avoid sort of species
16 movement into places they're not desired.

17 Q And do you know, based on that 2015 study,
18 whether diversions were successfully modified to
19 provide safe passage for those amphidromous stream
20 animals requiring such passage?

21 A That was not tested, so I can't respond to
22 that. The sites were all below the diversion, so
23 this was not looking at fish passage or entrainment,
24 which definitely needs to be done, but that was not
25 what that study was about.

1 Q Looking at your 2009 study, specifically on
2 page -- oh, I'm sorry, the version I think attached
3 to your -- the version attached to Mr. Higashi's
4 testimony doesn't have page numbers, so I'm going to
5 draw your attention to the summary conclusions
6 provided for -- I guess it's the best I can say is
7 after Figure 6 and concerning -- actually, before we
8 get there, the summary conclusion concerning the
9 oceanic larval face.

10 Apparently some copies have page numbers,
11 so page 6 for those who have page numbers. The
12 management actions that are provided for in that
13 summary, are you familiar with them?

14 A Yes.

15 Q And did those management, did DAR's final
16 recommendation, which you understood to be their 2010
17 recommendation, reflect this kind of objective stated
18 in this summary?

19 A Yes.

20 Q And that is consistent too with their
21 seasonal recommendation? You think that's a
22 consistent statement?

23 A Well, the first bullet point suggests that
24 improvements in instream habitat, which is what the
25 model is predicting, would result in more animals and

1 therefore greater output than the current situation.
2 So while they may not have restored year-round
3 improvements to output, the plan was to restore at
4 least six months improvement output, so they would
5 have achieved bullet point number one.

6 Bullet point number two was addressed in
7 their geographic spread of the sites of restoration,
8 trying to get sort of the biggest spread of these
9 restorations so that you improve the probability of
10 successful output, and then recruitment. So I think
11 they did both those two.

12 Q Okay, my only -- I guess I'm confused,
13 because I think I recall you saying that the dry
14 season IIFS's were so minimal that they actually
15 erased gains made during the winter season.

16 So the summer season standards for IIFS
17 values were so low that they erased the gains to
18 habitats made during the wet season.

19 And so is it still your testimony that
20 overall improved reproductive output did in fact
21 occur even with the elimination of those gains?

22 A That's a good point. I would say it was a
23 very -- it did not achieve what would be hoped, I
24 will say that for sure. But there were adult animals
25 observed on occasion. There were more 'opae observed

1 at some of these sites. So, yes, there would have
2 been more output.

3 Now, that appears to be not even close to
4 what you would hope, but, yes, there appears in some
5 cases to be more animals in certain locations.

6 So there was some gray in this. There's a
7 lot of gray because of the monitoring and the nature
8 of these Hawaiian streams and these animals. But
9 there were a few more animals in some of these
10 locations. But it wasn't consistent, and you weren't
11 seeing the suite of animals showing improvements over
12 time.

13 So in terms of would I say that it was
14 successful? No; but were there limited gains in some
15 locations and some places? Yes, but not what was
16 intend. That would be my opinion.

17 Q And the study itself was a short-term
18 study, correct? So we have yet to understand what
19 the long-term effects on these stream animals would
20 be; is that accurate?

21 A Four years. But, yes, in terms of animal
22 populations in the long-term, four years would be a
23 short time. But it was, you know, it was a lot of
24 work that they put in to get that answer.

25 Q Now, regarding -- now we can go to the

1 second summary recommendation with respect to
2 recruitment. This is the one that is displayed under
3 Figure 6 on page on --

4 A I have it.

5 Q -- page 8. Are you familiar with this
6 summary recommendation there?

7 A Sure.

8 Q And were those recommendations consistent
9 with DAR's final recommendation provided for in 2010?

10 A I would say that we -- I should not say
11 "we". I would say the actions did not result in all
12 of these hoped things here, in that return of more --
13 actually return of any water, even the summer flows
14 would have resulted in larger fresh water plume, by
15 definition. Would it be any marginal difference in
16 the scheme of ocean around Hawaii that animals would
17 see it, probably not.

18 So I don't know that the amount of water
19 returned really achieved the first objective, and I'm
20 not positive the amount of water that's available
21 would do a lot to that. That's more of a flood flow
22 effect.

23 And then a similar thing happens on how
24 often the stream mouth is open. That's a
25 geomorphology issue. Some stream mouths are open all

1 the time. Some close very quickly as the waves get
2 up, just picks up the sand and cobble that's on the
3 beaches and throws them back into the stream mouth.
4 Those are open in response typically to higher flows.

5 So number two is, again, really more
6 controlled by flood flow than it is by low flows.

7 And the final one is there may have been a
8 little bit improvement to adult populations, but I
9 don't know that. Again, your argument from the first
10 one applies. It really wasn't very successful. And
11 so overall, this one probably wasn't achieved by the
12 flow.

13 Q Now, with respect to the upstream migration
14 summary conclusion which you can find on page 14,
15 again, same question whether or not you believe DAR's
16 final recommendation in 2010 reflected these
17 objectives?

18 A I'll caveat this one by saying what they
19 said, absolutely reflects this. I do not know
20 actually what was done to repair some of these
21 barriers and how it was done, so whether or not these
22 were achieved in reality, I can't answer that.

23 But the first one, were they attempting to
24 minimize the barriers upstream migration?

25 Absolutely. That was discussed. That was talked

1 about.

2 The increase the window of time that that
3 pathway from the mouth to the upstream habitats, that
4 was hoped to be 100 percent of the time because the
5 summer flows were intentionally connectivity flows.
6 That was all they were trying to do.

7 The winter were connectivity plus a lot of
8 other things. So the intent was to have a wetted
9 pathway 100 percent of the time.

10 And then decreased entrainment again was
11 discussed. Whether it was actually done in practice,
12 is a different issue. So I would say the goals of
13 what they were talking about in 2010 were absolutely
14 supportive of these.

15 Q But it's very questionable, at least with
16 respect to the window of time for pathways, whether
17 or not that was actually achieved, and I'm pointing
18 to the results of the 2015 study in particular;
19 correct?

20 A Again, it appears the winter flows provided
21 connectivity, but the summer flows did not. So an
22 improvement of six months a year connectivity is an
23 improvement, although the intent was to get
24 year-round connectivity, and that does not appear to
25 have been supported by the information.

1 So there is still an improvement of
2 connectivity, but it wasn't what was hoped for.

3 Q And can we get agreement that a six-month
4 improvement on connectivity that is subsequently
5 erased in the six months of summer, six summer
6 months, is probably not a success overall?

7 A Correct, I would agree with that.

8 Q And the summary conclusions concerning
9 instream habitat, again, same question, page 16, and
10 you can answer it based on how you've categorized
11 your answer in the last section about intent versus
12 actual achievement based on the 2015 study results.

13 A For bullet point number one, I don't -- I
14 think the improvement of allowing low flows was the
15 intent for sure. And in general, high flows in
16 Hawaiian streams still exist overtop the diversions,
17 and so you still have flood flows in these streams,
18 and so there is somewhat of a natural pattern.

19 Of course, there is diversions, so it's not
20 100 percent natural. But the intent was to try to
21 get to a more natural flow.

22 So number one, I would agree that was their
23 intent. The number two, they absolutely having
24 year-round flow of some sort was an intent to keep
25 water in the stream, and that was mildly achieved at

1 best for the summertime flows; but clearly -- not
2 clearly, but I would say indications that it was
3 achieved for the winter flows.

4 The third bullet point, that was absolutely
5 the goal of what they were trying to do.
6 Number four, they were attempting to accomplish that
7 also. Number five, I don't know that we really knew
8 enough to address that. That is definitely a goal,
9 and the summertime flows may have been detrimental to
10 that. That might have been one of the problems here
11 in that they were just too low and things were drying
12 up too much. They had hoped that keeping some water
13 in the streams would avoid this situation, but it's
14 possible that it was too small amount of water to
15 achieve that goal.

16 Q And the goal was to maintain suitable water
17 depth to assure the nests of eggs of amphidromous
18 animals did not dry up, correct?

19 A Right. And in the overall sense, was there
20 just enough water for the animals to survive? Not so
21 much that they would go and reproduce, but the
22 animals that were there would be okay, and it doesn't
23 appear to be that was the indication, and so it's
24 also possible that the nests were drying up.
25 Unproven though. We don't have any information on

1 the specific --

2 Q But it's critical to the life cycle of the
3 animals, right, to do more than just survive? They
4 really want to be able to reproduce in order to sort
5 of have sufficient populations to continue this life
6 cycle; correct?

7 A Correct, reproduction is critical.

8 Q Now, you opined on the intent being met by
9 DAR's final recommendations, but can you quickly
10 assess whether for any of those bullet points that
11 you just went over, whether that was actually
12 achieved by way of, you know, some of the 2015 study
13 results?

14 A I guess the same thing will come up again.
15 The summertime flows appeared to be too low too long.
16 They didn't really create a stream-like habitat. It
17 was still relatively disconnected. Pools, maybe a
18 thread of water between them, but it wasn't really a
19 stream like where you see, you know, water flowing
20 through the system.

21 So I don't know specifically which of these
22 were achieved or not achieved, but overall instream
23 habitat appears, for a number of the species,
24 appeared not to be suitable because they were there
25 in the winter before, and they did not appear in the

1 summer after that, and then show up again.

2 And so in very simple perspective, habitat
3 did not appear to be suitable. Whether it was
4 temperature or diatoms or reproduction, we don't have
5 any information to say exactly what was happening.

6 Q And this is going to be my last question
7 for this report and probably my last question as well
8 to you.

9 But the summary conclusion for downstream
10 movement migration and drift, can you walk us through
11 the same kind of analysis for those bulleted points?

12 A Okay, the intent was to at least have six
13 months of year which the higher flows would trigger
14 spawning, and while those higher flows were going,
15 they would swiftly move the animals to the ocean.

16 So the window of six months was hoped to be
17 the trigger to spawning, the actual event, and then
18 the maturation of the eggs in the downstream drift.
19 So the intent was that the six-month window would
20 improve that. Sort of obviously, flows year round
21 would improve over that. So that was the intent.

22 It looks like the winter flows may have
23 done some of these things. Again, it's not crystal
24 clear. It's not a definitive result from that
25 monitoring study, but it does appear the winter flows

1 had some positive impacts. The summer flows do not
2 appear to have been sufficient to do this, although,
3 again, we did not measure downstream drift.

4 And then the entrainment issue goes back to
5 the fish passage. This study was below the
6 diversions, it was not addressing fish passage or
7 entrainment. So the overall goal in the 2010 report
8 was to minimize entrainment. What actually happened
9 in application is not as crystal clear right now,
10 and, in whether that was achieved.

11 Q That's all. That concludes my questions.

12 HEARINGS OFFICER MIIKE: Mr. Hall.

13 Cross-examination.

14 CROSS-EXAMINATION

15 BY MR. HALL:

16 Q Hello, Dr. Parham, my name is Isaac Hall.
17 I represent Maui Tomorrow. Good afternoon to you, I
18 suppose.

19 You don't have the letter that Mr. Polhemus
20 wrote dated December 15, 2009, but it includes a
21 description of the mission of DAR, which I would like
22 to read to you.

23 It says, "The Division of Aquatic
24 Resources, DAR, is responsible for the protection and
25 management of living aquatic resources in the waters

1 of Hawaii?"

2 Would you agree that's DAR's primary
3 mission?

4 A I would agree.

5 Q It's DAR's mission, is it not, to figure
6 out how to get the biggest bang for the buck out of
7 the watershed; correct?

8 A Could you restate your original sentence?
9 Did it include "management"?

10 Q No. It does say management of living
11 aquatic resources. I'll go on to the next sentence
12 in here.

13 "The DAR realizes that the Commission on
14 Water Resource Management, CWRM, has responsibility
15 of balancing the current and future value of multiple
16 uses of water when rendering its decisions on
17 specific instream flow standards. By contrast, the
18 DAR's recommendations below focus only on the
19 requirements of the native aquatic biota that fall
20 within the scope of our authority, and do not
21 consider additional instream or off-stream uses of
22 water."

23 A Okay. Is there a question?

24 Q So you've been talking about management.
25 You've been incorporating the potential needs of

1 off-stream users in your analyses, correct?

2 A Tangentially, yes. I mean I can -- how the
3 water is used, isn't what I was looking at. They
4 were asking -- I was asked to determine what actions
5 would result in the restoration of habitat in what
6 sequence.

7 Q Well, you ranked the streams in order to
8 help CWRM make a decision. We would like to restore
9 five, maybe restore ten. I've ranked them for you to
10 help you make your decision; is that right?

11 A Correct.

12 Q But your -- the role of DAR is really to
13 look at what it would take to protect the native
14 aquatic biota in any given stream; correct?

15 A I think you said "protect and manage".

16 Q Yeah, the biota in the stream; correct?

17 A From my teachings, "management" is a
18 combination of humans and the environment. And so
19 it's a balance. And if DAR's saying that their goal
20 is protection and management, then the consideration
21 of human value is inherent in their decision-making.

22 Q That's pretty--

23 A That's DAR's position, not mine.

24 Q CWRM is going to decide how to balance the
25 human values versus the biotic values, correct, not

1 DAR?

2 A I don't control DAR's decision. It seems
3 what Dan stated in DAR's decision, it sounds like
4 they have management authority, which is the balance
5 of human use and the environment.

6 Q Can you cite anything that gives DAR the
7 authority to balance the human uses versus the biotic
8 uses?

9 A In general, I work in the fisheries world,
10 so the classic example would be fishing. Determining
11 size, limits and things like that which would fall in
12 DAR's purview, and that is the management of human
13 take of the environment while trying to protect the
14 animals --

15 Q Don't you agree that it's the CWRM's
16 role --

17 HEARINGS OFFICER MIKE: Let him finish
18 before you start. She can't cover both.

19 THE WITNESS: I'm finished, thank you.

20 Q (By Mr. Hall): In this context, don't you
21 agree that it's the CWRM's role to balance human uses
22 versus instream uses, not DAR's?

23 A I guess I'm the wrong person to ask,
24 because I'm not at DAR, and I'm not really the person
25 who decides.

1 HEARINGS OFFICER MIIKE: Let me interrupt
2 this, Dr. Parham.

3 I don't think -- he's never made the
4 position that says that he's going to tell CWRM what
5 to do in terms of a balancing act. He's been
6 consistent in saying he's providing information to
7 them on what would improve habitat and recruitment,
8 et cetera.

9 I don't think he's ever gotten into that.
10 Plus you're asking him questions about DAR. You have
11 a DAR person here. You can ask him directly.

12 Q (By Mr. Hall): Let's go through your
13 stream-by-stream analysis then, and see what you
14 said.

15 Could you go to page 68 of your study.
16 Let's start with Kolea Stream.

17 A Okay, I'm there.

18 Q You said in general 50 to 80 percent of the
19 habitat of the species that you listed was lost with
20 about 20 percent of that loss due to flow diversion
21 and the rest due to entrainment issues, correct?

22 A Correct.

23 Q And you state later on: "Restoration of
24 flow especially related to providing passage for
25 stream animals, and protection from entrainment would

1 likely result in increased habitat availability for
2 native species"; correct?

3 A Correct.

4 Q So stream restoration would increase
5 habitat availability in Kolea Stream, correct?

6 A Yes.

7 Q Let's go on to Waikamoi. You say: "In
8 general, almost all habitats for native species (97
9 to 99%) were predicted to be lost with about 30% to
10 60% percent of the loss due to flow diversion and the
11 rest due to entrainment issues"; correct?

12 A Correct.

13 Q And with respect to that stream, you say:
14 "Restoration of flow to increase local habitat and
15 improve fish passage would benefit the stream greatly
16 by providing large amounts of habitat for native
17 species". Correct?

18 A Correct.

19 Q So if we just look at that stream by it
20 itself, you recommend stream restoration; correct?

21 A Yes.

22 Q With Puohokamoa Stream you say that:
23 "Where surveyed the diversion removed 100% of the
24 stream flow." Correct?

25 A Yes.

1 Q And you conclude: "Restoration of flow to
2 increase local habitat and improve fish passage would
3 benefit the stream greatly by providing large amount
4 of habitat for native species."

5 A Yes.

6 Q So stream restoration would benefit
7 Puohokamoa Stream, correct?

8 A Correct.

9 Q Now, go onto Haipuaena Stream. You say:
10 "In general 55 to 90% of the habitat for
11 these species was predicted to be lost with about
12 40 percent of that loss due to flow diversion and the
13 rest due to entrainment issues." Is that right?

14 A Correct.

15 Q And you say: "Restoration of flow to
16 increase local habitat and improve fish passage would
17 benefit the stream by increasing habitat for native
18 species."

19 A Correct.

20 Q So for that stream too, restoration of flow
21 is recommended; correct?

22 A Correct.

23 Q Then Punalau Stream, you say: "In general,
24 60 to 95% of the habitat of these species were
25 predicted to be lost in the range of 2.5%" for one

1 specie "to 43.9" for another species "of that loss
2 due to flow diversion and the rest to entrainment
3 issues." Right?

4 And you conclude again: "Restoration of
5 flow to increase local habitat and improve fish
6 passages would benefit the stream by increasing
7 habitat for native species." Correct?

8 A Correct.

9 Q So your findings again support stream
10 restoration for Punalau Stream, correct?

11 A Correct.

12 Q Honomanu, you say: "Dry sections of the
13 stream bed were observed below the diversion and
14 where surveyed, the diversion removed 100% of the
15 stream flow." Correct?

16 A Correct.

17 Q And you say: Entrainment of downstream
18 drifting larvae would be high in this stream and
19 upstream passage would be limited to high flow
20 events." Correct?

21 A Correct.

22 Q And you say, again, you conclude:

23 "Restoration of flow to increase local
24 habitat and include fish passages would benefit the
25 stream greatly by providing large amounts of habitat

1 for native species." So your particular findings --

2 A I would agree this stream, with further
3 information coming in from the USGS and from DAR, was
4 probably the poorest captured in terms of its
5 response.

6 Q Are you talking about the --

7 A This was the number one stream to restore.
8 But given the fact that the indication was it was dry
9 for quite a section naturally, then the benefits were
10 probably much less than what you see here.

11 Q Well, you weren't here to get the benefit
12 of Dr. Gingerich's testimony. He qualified that
13 there was a losing stretch on diverted conditions and
14 qualified that he did not know if water were
15 restored, whether it would lose or not.

16 Would that make a difference to you?

17 A Absolutely.

18 Q So if water were restored, and it was no
19 longer losing, would it go back up to your number one
20 slot?

21 A Most likely, yes.

22 Q Now let's move on to Nuaailua Stream. You
23 say in here: Some entrainment of downstream drifting
24 larvae may occur in this stream and upstream passage
25 may be limited during dry periods." Correct?

1 A Correct.

2 Q "There is a potential to recover 0.5 km of
3 habitat units in this stream alone and it ranked
4 fifteen among all streams in this report."

5 But you conclude again: "Restoration of
6 flow to improve fish passages would have limited
7 benefits to the stream by decreasing entrainment of
8 drifting larvae for native species."

9 So there would be some benefit?

10 A Correct.

11 Q For restoration of stream flow, correct?

12 A Yes.

13 Q And, again, entrainment is an issue that
14 you identified with that particular stream?

15 A Correct.

16 Q And Ohia Stream. Again, you say no
17 diversion, and you testified to that before. So
18 let's move on to West Wailua Iki Stream.

19 You say: "In general, flow diversion
20 eliminated about 50 of the habitat for the middle
21 reach species." And you list them. So that's flow
22 diversion.

23 And "Entrainment issues associated with the
24 diversions had a large influence" on two other
25 species. "Recent surveys found a range of native

1 species in the stream although substantial loss
2 habitat was reported below the diversions."

3 A Correct.

4 Q And you conclude again: "Restoration of
5 flow to increase local habitat and fish passages
6 would benefit the stream by increasing habitat for
7 native species".

8 So stream restoration would benefit West
9 Wailuaiki Stream; correct?

10 A Correct.

11 Q And the species in it, correct?

12 And you isolate out West (sic) Wailuaiki
13 Stream. And you say of it: "In general the loss of
14 instream habitat was due to water removal which
15 resulted in about 45% loss of habitat" -- water
16 removal means diversions, correct?

17 A Yes.

18 Q "For lower and middle reach species while
19 Lentipes" -- and another species -- "were mostly
20 affected by entrainment issues." Is that right?

21 A That is correct.

22 Q And you conclude again: "Restoration of
23 flow to increase the local habitat and improve fish
24 passages would improve stream conditions for native
25 species."

1 So restoration of flow to East Wailuaiki
2 Stream would also improve conditions for different
3 species?

4 A Correct.

5 Q And Kopiliula Stream, you state: "Loss of
6 instream habitats due to water removal resulted in
7 about 20 to 45% loss of habitat" -- and you list two
8 species -- "were mostly affected by entrainment
9 issues." Correct?

10 A Correct.

11 Q And you conclude again: "Restoration of
12 flow to increase local habitat and improve fish
13 passages would improve stream conditions for native
14 species."

15 So for this stream, again, restoration of
16 flow would benefit conditions for native species;
17 correct?

18 A Correct.

19 Q Waiohue, you say: In general, the loss of
20 instream habitat due to water removal" --
21 diversions -- "resulted in about 40% loss of instream
22 habitat for these species" -- and several others --
23 "were affected more by entrainment issues."

24 Is that right?

25 A That is correct.

1 Q And you conclude again that: "Restoration
2 of flow to increase local habitat and improve fish
3 passage would improve stream conditions for native
4 species."

5 So, again, you conclude with respect to
6 this particular stream, that restoration of flow
7 would increase local habitat?

8 A Correct.

9 Q Paakea Gulch. You say that: The loss of
10 instream habitats due to water removal resulted in
11 about 3% percent loss of habitat."

12 But you conclude: "Restoration of flow to
13 improve fish passage to upstream sites would improve
14 stream conditions for native species."

15 So it's a fish passage issue at Paakea,
16 correct?

17 A I think so, yes. I was reading it.

18 Q I'm sorry, it says, restoration of flow to
19 improve fish passage would improve stream conditions
20 for native species.

21 So you recommend restoration at Paakea
22 Gulch as well; correct?

23 A Yes.

24 Q And Kapaula Gulch you say that there's
25 50.4% of this loss due to the combined effects of

1 stream diversion; is that right?

2 A Yes.

3 Q And you conclude, again: "Restoration of
4 flow to improve fish passage at upstream sites would
5 improve stream conditions for native species."

6 So you recommend restoration of flow to
7 Kapaula as well, correct?

8 A Yes.

9 Q And Hanawi Stream, you state that there is
10 a 45.6% of habitat loss due to entrainment by the
11 stream diversion?

12 A Correct.

13 Q And restoration of flow to improve fish
14 passages would improve stream conditions for native
15 species.

16 So you recommend restoration at Hanawi
17 Stream as well, correct?

18 A Correct.

19 Q And Makapipi Stream, you conclude that
20 54.6% of the loss of habitat is due to the combined
21 effects of stream diversion?

22 A Correct.

23 Q And you recommend restoration of flow to
24 increase local habitat and improve fish passage and
25 that that would improve stream conditions for native

1 species; correct?

2 A Correct.

3 Q Now, we're left with the eight other
4 streams. Do you know them well enough -- I notice
5 that you did reports on a number of them. You did
6 reports, according to your resume on Honopou,
7 correct?

8 A Correct.

9 Q And Hanehoi, Piinaau, Wailuanui,
10 Waiokamilo, right?

11 A Correct.

12 Q And on those, has the streamflow been
13 limited by diversions?

14 A I would have to go back and look at those
15 streams. The reports that we did on those streams
16 were on an accumulation of known information for the
17 biota and habitat. They were not stream diversion
18 studies. So I would have to revisit what USGS has
19 stated on the flow situations in those streams to
20 give an accurate answer.

21 Q Are there barriers to fish passage on those
22 streams?

23 A Again, if there's diversions, then there's
24 likely barriers to passage also.

25 Q And are there likely entrainment problems

1 created by the diversions on those streams as well?

2 A Likely, yes.

3 Q So assuming that there is diversions of
4 water causing low flow and that there is barriers to
5 fish passage and also entrainment issues, would you
6 say if those problems exist, that the habitat for the
7 kinds of species that you studied have been degraded
8 by those kinds of things?

9 A Yes, that would be true. If they exist,
10 that would likely have happened.

11 Q And would you expect to make the same kinds
12 of recommendations if those conditions exist on those
13 streams that you made with these other streams, that
14 stream restoration or modification to the diversion
15 were to allow fish passage and modifications to
16 prevent entrainment, make the same kind of
17 recommendations on those streams?

18 A Yes, it would be likely.

19 Q I'm looking at the conclusion of Appendix
20 E, Monitoring Changes in Habitat Biota, the 2015
21 study.

22 A Sure. One moment. Okay, where are you?

23 Q In the middle of page 67 actually.

24 A Okay.

25 Q When considering -- the first sentence --

1 "When considering instream flow quantities to support
2 stream animals, it is axiomatic that 100% flow
3 restoration to natural undiverted flow would be best
4 for native stream animals."

5 Do you agree with that?

6 A Yes.

7 Q And I think the rest of your conclusions
8 have been addressed by Ms. Sylva.

9 I don't have any other questions.

10 HEARINGS OFFICER MIIKE: Let me interrupt
11 for a second. You're deferring to HC&S?

12 MR. ROWE: Yes.

13 HEARINGS OFFICER MIIKE: About how long are
14 you going to take?

15 MR. YIP: I anticipate about 45 minutes to
16 an hour.

17 HEARINGS OFFICER MIIKE: Okay, Dr. Parham,
18 let's try to continue on so we can get through with
19 your testimony. We will go about another 45 minutes.

20 MR. PARHAM: Sounds fine.

21 HEARINGS OFFICER MIIKE: Okay, let's go.

22 CROSS-EXAMINATION

23 BY MR. YIP:

24 Q Dr. Parham, my name is Elijah Yip. I'm the
25 attorney representing HC&S.

1 I just want to start by asking you, besides
2 the 2009 report and the 2015 report, and the
3 declarations, your declaration as well as Mr.
4 Higashi's declaration, what did you review in
5 preparation for your testimony today?

6 A I reviewed the 2009 report, the 2015
7 report, the two USGS reports, the 2010 DAR statement,
8 and some various spreadsheets to make sure I
9 understood all of the calculations, just to double
10 check.

11 Q Did you review any submissions by the
12 parties to this proceeding?

13 A Let's see -- I don't think I had any of the
14 stuff sent to me. No. So I don't think I have seen
15 the submittals.

16 Q Thank you.

17 Are you familiar with the PHABSIM model?

18 A Yes.

19 Q How much work have you done with that
20 model?

21 A Quite a bit. We've been working for years.
22 I'm trying to understand the implications of PHABSIM,
23 and it's well known to have some low flow issues in
24 its predictions. And so much of the work that I've
25 been doing is trying to understand the applications

1 of a micro half-tap model in context of macro habitat
2 conditions. And so have I been running the
3 calculations of PHABSIM? No. But I've been working
4 very much with the whole concept of understanding
5 physical habitat simulation modeling.

6 Q Are there similarities between PHABSIM
7 model and HSHEP model?

8 A Their intent is different. There are some
9 similarities absolutely. They deal with the same
10 location and same species. PHABSIM has a different
11 intent, different inputs and different outputs. And
12 the output of the PHABSIM is the input in the HEP
13 model.

14 Q I see, but they're both habitat-based
15 models. Would you agree?

16 A Yes.

17 Q Is it a basic assumption of the HSHEP model
18 that there is a relationship between the amount of
19 habitat available for animals and animal populations?

20 A Yes.

21 Q And what is the relationship? Is it, for
22 example, a linear relationship between the amount of
23 habitat availability and animal populations?

24 A Over the long term the assumption would be
25 a linear relationship or habitat result or animals

1 over the long term, but not at any necessary specific
2 point in time.

3 Q And we've been talking about different H
4 levels like H_{90} , H_{60} ; are you familiar with that
5 terminology?

6 A Yes.

7 Q Is there -- could you describe the
8 relationship between the different H levels and
9 animal populations? Is there a relationship?

10 A Yes. H just means habitat. So 90 percent
11 of the habitat or 50 percent or 20 percent, then
12 there would be a given understanding in both the
13 PHABSIM approach or really the IFIM approach and in a
14 HEP model that over the long term, better habitat
15 would result in more animals. And so greater values
16 of habitat would result in more animals.

17 Q And that would be a linear relationship?

18 A It's hoped that's true.

19 Q What are the reservations that might make
20 that assumption not true?

21 A It could be -- it could have a relationship
22 in which animals attract other animals, so the
23 occupancy of a site results in more animals in that
24 area. And so it's not purely the random filling of
25 unavailable habitat, but for -- they may aggregate

1 for reasons, so it may not be one-to-one
2 relationship.

3 Q So based on your knowledge as a biologist,
4 on the scientific literature in this area, how strong
5 is the evidence for a linear relationship between the
6 availability of habitat and animal populations?

7 A I would say there are no direct studies
8 proving a linear relationship, but it's a very sort
9 of solid conceptual approach.

10 Q I want to -- before I go there. You
11 remember Mr. Hall taking you through each stream that
12 was covered by the study, and asking whether
13 recommendations for restoration were made; correct?

14 A Correct.

15 Q Isn't it true that the way the HSHEP model
16 is set up, that any restoration, any restoration of
17 flow or removal of diversions would result in
18 increase in habitat?

19 A Correct.

20 Q So any time we have got a removal of a
21 barrier or return of flow, there will always be an
22 increase in habitat, therefore, benefits the species
23 per the model; correct?

24 A There could be limited cases where that
25 wouldn't be true, but your general concept is

1 correct.

2 Q I want to take you through Table 12 of the
3 2009 study.

4 A Hold on please. Okay.

5 Q And that's H₉₅. Are you there?

6 A Yes, I have it.

7 Q Am I correct to understand that this is a
8 summary of the combined total amount of habitat units
9 for all the native species analyzed in the study?

10 A Correct.

11 Q And the second column -- rather the third,
12 I suppose. This is total habitat units in the
13 stream. That's the total number of habitat units in
14 a given stream under undiverted conditions, correct?

15 A Correct.

16 Q And just so I am clear on how the habitat
17 units are calculated, they're calculated by
18 multiplying a unit length of the stream by a
19 suitability of that length of that stream; correct?

20 A Correct.

21 Q So the suitability values would range from
22 zero to one, correct?

23 A Correct.

24 Q And the suitability is a measure of how
25 usable the habitat is to a stream animal, correct?

1 A Correct.

2 Q So, for example, if there are 100 meters of
3 habitat in the stream reach and the suitability value
4 of that habitat is .5, that equals 50 habitat units?

5 A Correct.

6 Q And similarly, if there 50 meters of
7 habitat in that stream stretch and suitability value
8 is one, that also equals 50 habitat units; correct?

9 A Correct.

10 Q Now, if a stream segment has a diversion,
11 isn't it true that the suitability value of that
12 habitat is reduced by 80 percent?

13 A Come again? Sorry.

14 Q Let me say that again.

15 If a stream segment has a diversion, is it
16 true that the suitability value of the habitat in
17 that stretch is reduced by 80 percent under the
18 model?

19 A No.

20 Q Is there a reduction of --

21 A There may be, depending on how much flow
22 would be -- how much baseflow would be removed. So
23 it varies based on the amount of flow removed.

24 Q I want you to take a look at Table 3 --
25 actually, let's take a look at page 28 of your 2009

1 study.

2 A Unfortunately, mine is jumping up here with
3 no pages. What's the topic?

4 Q Give me a second, and I'll try to point you
5 to what I am looking at. It is the -- we're looking
6 at the -- there's a list of -- it's an explanation of
7 the model. It's under the heading: Final HSHEP
8 model construction. And then continues onto 15
9 numbered paragraphs.

10 If you look at number 13, I believe that
11 talks about a reduction or a discount in the
12 suitability value based on the presence of
13 diversions; is that true?

14 A Yes, that's true.

15 Q So based on that, how does the discount
16 work?

17 A The example there is 100 percent removal of
18 baseflow, which is a sort of typical design of some
19 of these diversions. They're removing 100 percent
20 baseflow, and then they're overtopped during higher
21 flows. The evidence suggests that's about 20 percent
22 of the time that they're overtopped based on the
23 various hydrologic studies on these diversions.

24 So it provides a blockage if it was that
25 case 80 percent of the time, if that make sense.

1 So in other words, there is passage, there
2 are conditions even when 100 percent of the baseflow
3 is removed by these diversions, that water overtops
4 and fills the channel below it.

5 Q About 20 percent of the time, correct?

6 A About 20 percent of the time.

7 Q That's the assumption. Okay.

8 So how does that translate into the model?
9 I mean, how does that assumption work into the model?

10 A Okay. So there's three components that
11 we're generally looking at, local habitat, upstream
12 of the diversion -- if this was a single diversion on
13 a stream, upstream would have natural flow. There
14 would be no loss of habitat.

15 At the site of the diversion, there could
16 be loss of habitat for the construction, but in
17 general for East Maui streams we have seen animals
18 living in the pools on both sides of these
19 diversions. There does not appear to be really a
20 loss of habitat. Just small cement structures, like,
21 it's a large channelized segment like you might find
22 on Oahu or Iao stream on Maui.

23 So you're not -- it's really not a loss of
24 habitat at the specific site.

25 Downstream of the site you would have a

1 dewatered segment that would result in the loss of
2 habitat. So for the one variable loss of habitat, it
3 generally occurs downstream of the diversion.

4 The second feature would be upstream
5 movement of animals, and it would be a barrier if the
6 design created an overhang. For example, some cases
7 the water flows through PVC pipes and then is sort of
8 shot out through the air and lands in the pool below
9 it. These animals need a wetted surface to move
10 upstream, so that would be a blockage. Again, this
11 is a site-specific consideration.

12 The third piece of information would be
13 downstream entrainment. So the little babies, after
14 they hatch from their eggs, passively drift with the
15 current. And if you're diverting 100 percent of the
16 baseflow, any animals that come down during baseflow
17 are entrained. But some water overtops it during
18 high flows, as we suggest about 20 percent of the
19 time it's overtopped. So it would be about
20 20 percent of the time that animals could not be
21 entrained in the diversion.

22 So those would be the three main factors
23 that we're looking at, and how they would be linked
24 to a specific site with 100 percent removal.

25 Q So are these assumptions applied in

1 calculating the amount of habitat units for a given
2 stretch of a stream?

3 A Yes.

4 Q And how, mathematically how are they
5 applied? Let me give you a hypothetical.

6 Say you've got a stream segment that has
7 100 meters of habitat, and let's just say suitability
8 value is one. But there's a diversion in that
9 segment. How would those assumptions play out in
10 calculating the habitat units for that segment?

11 A Okay. And I'll say hypothetically, because
12 it will not be every calculation, but I'll put the
13 diversion in the midpoint of those 100 meters, so we
14 see both downstream and upstream, and we'll talk
15 about one species that should have been in all of
16 those sites.

17 So if the water was 100 percent of the
18 baseflow as diverted, the 50 meters below the
19 diversion would be dry 80 percent of the time, and
20 functionally that's not habitat for a fish. Fish
21 can't live in dry habitats 80 percent of the time.
22 So that's considered no habitat below it.

23 Upstream of the site there's still natural
24 flow, so you have 100 percent of habitat above the
25 diversion since you are not diverting it until it

1 hits the actual diversion point.

2 So from a local habitat perspective, you've
3 lost 50 percent of the habitat that has gone from a
4 suitability of one to a suitability of zero. So
5 that's your local flow consideration.

6 Now, on the upstream movement of those
7 animals, this would be a network calculation, meaning
8 it matters where you are. The animal would move
9 upstream, and if -- we will just say for sake that
10 there was enough water below this diversion all the
11 time -- that wasn't your example that you were using,
12 but we'll say for sake that there is, these animals
13 were able to move up to the barrier.

14 If the barrier is merely a gradually
15 sloping cement barrier, these species most likely
16 would climb over it and would result in no impact of
17 the upstream habitat to those.

18 If it was, in contrast, an overhanging
19 barrier where the example of the PVC pipe shooting
20 water out into the air, it would restrict passage at
21 that site 100 percent, or possibly during overtopping
22 periods it would only be 80 percent. So we would now
23 have a barrier impact to the upstream movement that
24 is being calculated on all upstream sites, so
25 overtopping 20 percent of the time would -- that

1 would result in a barrier 80 percent of the time.
2 The 50 meters upstream of the barrier that had a
3 suitability one, would now be 80 percent less,
4 because these animals could not get to that site but
5 under limited conditions.

6 Now, the animals pass that barrier.
7 They're living up there fine because local habitat is
8 excellent. There's no diversion. They reproduce,
9 and their babies go to drift downstream. As we
10 discussed, 80 percent of the time they would be
11 entrained.

12 Therefore, the habitat value is decreased
13 again because while they reproduce on the site,
14 they're not actually contributing to the downstream
15 population, because we're eliminating those young
16 from the system.

17 So entrainment has an additional impact,
18 and the suitability of those upstream sites would be
19 further decreased.

20 And this highlights why passage and
21 entrainment can have a large effect. It's not only
22 local habitat, but it's the combination of those
23 three, and where it is, what species it is and how
24 suitability the habitat is.

25 Q Am I correct to understand that in my

1 hypothetical where you have diversion that's in the
2 middle of the segments, in order to arrive at a
3 calculation of the number of habitat units in that
4 segment, you would have to calculate the number of
5 units both upstream or above the diversion as well as
6 below, taking into account the various -- the
7 assumptions and the various outcomes that you've just
8 discussed?

9 A Correct. You would calculate local habitat
10 both up and below, and you'd calculate the impact
11 upstream movement and downstream entrainment.

12 Q And you would combine the habitat units
13 above and below to arrive at the calculation of
14 habitat units for the entire segment, correct?

15 A Correct.

16 Q And in applying the assumptions of blockage
17 of passage or entrainment, and the effects of that on
18 the animals, you would apply a discount to the
19 suitability value; is that right?

20 A Correct. Because habitat may look nice,
21 but if the animals can't get to it, it's
22 functionally -- for example, if someone builds you a
23 nice house, but there is no doors to it, it's not a
24 very suitable house. So there needs to be access to
25 the site also.

1 Q Right.

2 And so if you look at the -- going back to
3 Table 12, and actually the tables preceding it,
4 because Table 12 is just a combination of all the
5 habitat unit calculations in the preceding tables;
6 correct?

7 A Correct.

8 Q So in looking at Table 12, in analyzing the
9 number of habitat units for each segment, was there a
10 site-by-site consideration of the location of the
11 diversions and, therefore, their impact on amount of
12 habitat due to entrainment and passage?

13 A Yes.

14 Q So the number of habitat units calculation
15 takes into account then the effects of entrainment
16 and passage, correct?

17 A Yes.

18 Q And is that -- for the reasons that you
19 just discussed, the effects of entrainment and
20 barriers to passage, is that why making modifications
21 to diversion structures to restore connectivity at a
22 small number of locations can result in large gains
23 in habitat units?

24 A Yes.

25 Q Now, if you look at Table 13, if you have

1 page numbers, it's page 96. That table ranks
2 diversion sites by the amount of habitat units that
3 could be potentially returned at a given site,
4 correct?

5 A Correct.

6 Q And each site is ranked twice, once for
7 habitat loss due to flow diversion and once for
8 barriers to migration or entrainment, correct?

9 A Correct.

10 Q And by barrier, loss of habitat by barrier,
11 does that include natural barriers to migration such
12 as terminal waterfalls or bermes at a stream mouth?

13 A Not at this table, but that is included.
14 So natural barriers, heights of waterfalls and their
15 location is -- if you back up to Table 12 in the
16 estimate of habitat units naturally, that's taking
17 into account natural barriers too.

18 So terminal waterfalls and all the rest,
19 that is already included in the natural situation.

20 Q Okay, got it.

21 So on Table 13 though, in looking at the
22 number of habitat units lost, and therefore
23 potentially could be recovered, that number does not
24 account for barriers due to naturally reoccurring
25 barriers like waterfalls and bermes, correct?

1 A I would disagree with that. I would say it
2 absolutely includes it, because the maximum
3 restoration of units is including the natural
4 waterfalls and barriers.

5 So if, for example, there's 2000 units in
6 the stream, the stream could be extremely long but
7 has a terminal waterfall, therefore only a few
8 species can get up there. All of the impact of the
9 barriers and flow disruption are only going to occur
10 on the species that can get there.

11 So it has been addressed already, and the
12 natural system is already in place here, the natural
13 barriers are already included.

14 Q I'm a little confused, because my
15 understanding which -- please correct me if I am
16 wrong -- is that when we look at Table 13 of the
17 Habitat Units Lost column that that figure, that
18 column, reflects the total of habitat units lost on
19 Table 12, either through flow diversion or migration
20 barriers. Am I wrong?

21 A I guess we are disconnecting in our logic
22 here, because what you're saying sounded correct
23 there, but clearly you're asking me something -- the
24 natural system is already included in it. And so
25 this, for example, this would be putting your

1 diversion on a stream with a terminal waterfall that
2 would have already eliminated a whole bunch of
3 species. Therefore, the total habitat in the stream
4 only includes the species that go above that
5 waterfall. Therefore, the diversion can only affect
6 those species that would have passed that terminal
7 waterfall. So I'm not positive what you're asking
8 me.

9 Q I apologize for that. Let me try again.
10 Maybe the simplest way is to look at
11 Table 12, and use that as a starting point. On
12 Table 12, the third column, total habitat units in a
13 stream, you said that was undiverted -- I'm sorry,
14 the amount of habitat existing under undiverted
15 conditions, but that also includes naturally
16 occurring barriers; is that right?

17 A Yes.

18 Q And then in the subsequent columns, what
19 the calculation there is, is the number of habitat
20 units remaining after certain conditions like flow
21 diversion or migration barriers; right?

22 A Correct.

23 Q And so when we get to the seventh column,
24 Total HU Lost, that's the summation, the sum of all
25 the habitat units lost in the previous three columns,

1 correct?

2 A Correct.

3 Q And what I'm trying to understand is, is
4 the Total Habitat Units Lost column, that figure,
5 does that correlate to Table 13, Habitat Units Lost?

6 A Yes.

7 Q I think that's all I was trying to
8 establish.

9 A The correlation will not be one-to-one in
10 that it is saying the individual action in Table 13
11 that may be a portion or may be multiple diversions
12 on these streams, so the single individual action
13 that restores the most habitat units scores number
14 one. Ultimately adding up all actions on a stream
15 should equal this table.

16 Q Correct, okay. I think we're on the same
17 page now.

18 Now, if a diversion were modified such that
19 passage could occur, would it be true then that the
20 80 percent discount would not be valid anymore when
21 calculating the number of habitat units available for
22 that segment?

23 A For upstream passage, correct.

24 Q And similarly for entrainment for the
25 downstream drift of larva, correct?

1 A Yes, that would be much more difficult to
2 achieve, because remember they're passively drifting
3 on water, so you would have to have a way to filter
4 these out of the water. But there are ways that
5 exist, so your concept is correct. You could design
6 a system where entrainment was minimized and that
7 would decrease those values.

8 Q And speaking of the downstream drift of
9 larva, would you agree that native amphidromous
10 species face many obstacles in order to successfully
11 propagate, as a general matter?

12 A Yes.

13 Q Would you also agree that even under
14 naturally-occurring conditions, undiverted
15 conditions, that for larva to successfully drift down
16 to the ocean and then recruit back is really a very
17 challenging situation?

18 In other words, that there are again a
19 number of barriers or number of obstacles that could
20 prevent that from happening?

21 A Yes, but it's a site-specific issue. And
22 that's certainly the intent of the model. If you
23 have beautiful habitat not far from the ocean, then
24 that's not that difficult for the babies to get to
25 the ocean. But that same habitat far inland results

1 in all kinds of potential barriers, and that's part
2 of the issue of site-specific nature of the modeling.
3 So in general there are lots of troubles for the
4 babies ahead of them, and it is not an easy path.

5 Q In fact, I read with a little bit of
6 amusement -- maybe I shouldn't be amused -- but I
7 think the analogy is interesting. On page 5 of your
8 study, you compare the success of oceanic larva being
9 able to successfully recruit to winning the lottery,
10 don't you?

11 A Yes, this is Peter Sales (phonetic) work,
12 and it was developed on coral reefs. These animals
13 are very much analogous. They share the same life
14 history as the majority of our coral reef animals.
15 So they have a pelagic oceanic larval phase.

16 And if you look at these gobies, instead of
17 recruiting to a specific coral-head type on a coral
18 reef, they're going to a different exclusive habitat,
19 a small stream on these islands.

20 So the analogy of what he was talking
21 about, these animals drift on the open ocean, and
22 then when they're ready to recruit, they have to be
23 really lucky.

24 So what you see at a local site is not
25 necessarily as simple as some situations where the

1 animals, there's sort of a direct relationship
2 between their babies and the adults observe, so fish
3 on coral reefs and in the streams tend to have very
4 successful recruitment events that you'll see lots of
5 animals from a single recruitment class, and then can
6 have failures.

7 So it is very much a lottery sweepstakes
8 approach to recruitment.

9 Q The oceanic larval pool, the plankton pool,
10 does that consist of larva from just one stream?

11 A No, that would be a mix.

12 Q And is there scientific evidence that the
13 larva in that pool necessarily recruit back to the
14 stream from which they originated?

15 A There's conflicting thoughts on that right
16 now. There has been some recent publications
17 suggesting that they may be holding in the immediate
18 vicinity of the stream mouth and recruiting back to
19 the stream. There's lots of evidence that suggest
20 that that's not happening also, and it could possibly
21 be that both are happening, that sometimes they go to
22 the open ocean and luckily recruit, and sometimes a
23 portion of them are being held at the stream mouth
24 and recruit back to that stream.

25 But that's unconfirmed right now in either

1 way based on studies available.

2 Q And given that conflicting evidence, is it
3 strategic then, if you're trying to improve
4 propagation of a particular species, to ensure
5 healthy habitat and healthy propagation in a select
6 number of streams in a given region?

7 A Basically, the better the habitat and in
8 the wider distribution, the more larval output and
9 the more chances that they have a place to land.

10 So, again, it's the better the habitat in
11 general will produce more babies, and the better the
12 habitat in general gives a larger dartboard to hit
13 basically, if you can take that analogy.

14 So designing a reserve system, say, we are
15 only going to protect one stream, or we're only going
16 to protect three streams or eight streams, there's
17 still a lot of uncertainty in that design. Put it
18 that way.

19 Q We talked a little bit about losing
20 stretches and streams -- or streams with losing
21 stretches. Does the HSHEP model account for losing
22 and gaining stretches?

23 A It didn't at this point. The production of
24 this, no. It was merely reflecting what the USGS
25 said was in those segments. And then the USGS said

1 well, wait, while we are going to have that much
2 water going into it, it's not actually going to do
3 what we were saying, so we backed off.

4 I guess DAR backed off on saying some of
5 these sites would be so highly restored. So at the
6 point of this model, it's better incorporated --

7 Q So from a habitat perspective, what is the
8 problem with streams with losing stretches?

9 A They go dry. So fish need water. In a
10 very simplistic approach, they need water to live in.
11 If it's a losing segment and you have dry -- say you
12 go a month without rain, those segments can naturally
13 go dry and all the animals in them will dry up and
14 die. So losing reaches have the potential of not
15 being long-term suitable habitat.

16 Now, if the losing reach stays perennial,
17 then that's not true. Again, there's a lot of --
18 USGS does very nice work on this system, but that
19 doesn't answer all the questions, nor do our things
20 answer every question. It's a very complicated
21 system when looking at surface water flow in Maui.

22 Q If you've got a stream with a losing
23 stretch, is one of the concerns that the animal might
24 recruit back up while there is water, but reach a dry
25 stretch and basically get stranded there?

1 A Yes. So the example of that, not so much
2 losing sections, but diverted sections. When a
3 stream is overtopping the diversion and wets the
4 stream, the animals will recruit and attempt to move
5 upstream. And then as flow drops, the diversion cuts
6 off flow immediately, and we do observe animals
7 stranded and dying in the stream.

8 So it would be almost the same thing. It
9 might dry up more slowly than the diverted situation,
10 but the outcome would be identical.

11 Q Is migration of the native amphidromous
12 species a continuous year-round activity, or are
13 there certain seasons for that to occur?

14 A It's not continuous, but it can be specific
15 to moon phases and to months. And it appears to
16 happen -- it can happen -- appears to happen at most
17 any time of year, but it doesn't appear to be like a
18 steady trickle of animals into the stream. So it
19 tends to be a large recruitment that is not
20 necessarily random, but not absolutely fixed in time.

21 Q In assessing the success or validity of the
22 hypothesis for summer flows in the 2015 monitoring
23 study, what was the metric -- what was the measure of
24 success? I think you mentioned observing the
25 presence or absence of animals in the pools.

1 Were there any other measures used?

2 A Yes. Let me jump over to that. There were
3 three measures of success, and I want to make sure I
4 get them correct, so one second.

5 Q Sure.

6 A So the three measures were --

7 Q Oh, I'm sorry. Where are you looking?

8 A Sorry. I'm reading off page 22, although
9 it occurs multiple times in the report that I
10 referenced.

11 Q Thank you.

12 A It looks like the lower half. Let me know
13 when you're there.

14 Q I'm there. Page 22, there's two charts.

15 A The three areas would be changes in
16 habitat. Did we observe -- I should say did DAR
17 observe improvement in habitat, more habitats or more
18 stream animals.

19 Second, did we see animals recruit to the
20 area, and then did they grow. And so did we see
21 these animals show up and exist over time.

22 And then the third one was to see about
23 connectivity. Were we just seeing the animals
24 appearing.

25 So I should have said those in a different

1 order. They need to appear, and then do they sustain
2 and grow themselves at the site.

3 So there was the issue of just physical
4 habitat measures. Secondly, do the animals show up.
5 And then thirdly, if they show up, do they persists
6 and grow.

7 Those are were basically the three things
8 being looked at.

9 Q If you look at page 16 of the 2009 study,
10 the summary bullet points that Ms. Sylva went over
11 with you.

12 A Yes.

13 Q The last bullet point there says:
14 "Management actions that maintain suitable water
15 depth, especially at low flows, will assure nests and
16 eggs of amphidromous animals do not dry up."

17 Do you see that?

18 A Yes.

19 Q Was there a measure, or was there
20 observation of nests and eggs in the monitoring
21 study?

22 A I really should defer to Glenn Higashi
23 here. Yes, there was things like, they did observe
24 the female shrimp, the shrimp that hold their eggs on
25 their abdomen so you can see them. And various

1 different reproductive actions. I don't believe that
2 direct nesting in the gobies was observed. I can go
3 back and read for that specific thought.

4 But there were various reproductive
5 observations made, and they were noted. So I don't
6 know if that answers but --

7 Q I guess my question is, is that data, the
8 data reflected in those observations, is that
9 reported in the 2015 study?

10 A Yes.

11 Q And if so, where?

12 A In the description of each site, and then
13 again in making conclusions about those sites.

14 Now that I've jumped over there I can point
15 you out. I think it's almost more in the conclusions
16 than in the results, but it may also be in the
17 results. So I am in conclusions right now. I'll
18 have to go back and hunt through the results.

19 But in the conclusions there's a discussion
20 in Changes to Stream Animal Populations. And in the
21 second paragraph *Macrobrachium grandimanus*, which is
22 a native shrimp, was observed in the lower stages of
23 all three streams in different size classes with
24 varied females. This supports growth and
25 reproduction. And so it walks through. We see egg

1 capsules present.

2 And then it also says while no reproduction
3 was directly observed for the gobies, they were
4 consistently observed in multiple size classes,
5 according the contention that the lower reach
6 conditions were suitable to recruit growth of these
7 species. So where they were observed, we tried to
8 include it in the report.

9 Q But was there any enumeration of number of
10 animals that were buried, that were observed, was
11 that reported in your study?

12 A Again, I think Glenn could -- I wasn't in
13 the field with this one, I was helping with the
14 report.

15 Appendix 1 shows the monitoring field
16 sheets, and so on the back page of that it has sort
17 of the notes of the species occurring and the
18 abundance.

19 And so I think Glenn Higashi and Skippy Hau
20 are the ones to answer this question, how did they
21 note the presence of reproductive ability in this.

22 Q Okay, that's fine. I'll ask them.

23 A It would be enumerated in the field sheets
24 that DAR has from the sites.

25 Q Just a couple more questions, and I think

1 we're done.

2 On page 29 of the 2009 study, it's a review
3 of the model itself, and step three says that the
4 model validation is reviewed by species authority,
5 and that at the time the model was still undergoing
6 peer review.

7 Has that review been completed?

8 A Well, that's a great question. So in one
9 sense, yes; in one sense, no. It has actually been
10 applied now to multiple of these cases, so your
11 review here, and multiple other people's review of it
12 has occurred. There's a lot of people who have
13 looked at this now.

14 Have we published in terms of a peer review
15 on the science side, no. So it has just undergone
16 peer review by the Army Corps of Engineers Pittsburgh
17 Waterway Station. That is complete at this point,
18 and it is not yet published.

19 So I have that on my desk, so I do know
20 what the thing is, but that isn't available yet for
21 you all. So the peer review is at that point.

22 Q Is the monitoring report in 2015, is that
23 in part of the process for validating the HSHEP
24 model?

25 A No. It is directly -- no. It was really

1 trying to understand whether the direct application
2 of the seasonal flow amounts worked in a very simple
3 sense, because part of -- and this is not only true
4 in Hawaii, but true with every place that we work,
5 and in the sort of the overall stream and river issue
6 the adaptive management paradigm in that we make
7 these assumptions, and we make these models and we
8 set these levels. Do they actually achieve anything?

9 And so this was more of a response of an
10 adaptive management of, it seemed like a really good
11 idea with a lot of support behind it, but did it
12 actually work?

13 And so that's a validation of the model
14 directly at site, but not a validation of a model of,
15 say, take random sites across the state and apply
16 them in the statistical approach.

17 Q And speaking of the monitoring study, why
18 were there only three streams selected as a subject
19 of that study when there were more streams where
20 additional flow was released?

21 A I know the answer, but I will defer to
22 Glenn Higashi on this one.

23 Q Fair enough.

24 I believe in an answer to a question from
25 Ms. Sylva, you said that the hypothesis with respect

1 to the winter flows was confirmed, is that a fair
2 restatement of your answer?

3 A It definitely has not been invalidated, so
4 there isn't a huge amount of proof that it was great.
5 Like we didn't get this gigantic response that
6 occurred everywhere at all sites, but it does appear
7 that we were seeing a positive response from the
8 winter flows.

9 Q And I ask you that because throughout the
10 study there were remarks that the correlation between
11 return flows habitat and biota was weak.

12 A Oh, absolutely.

13 Q Is that what you meant by it's not
14 invalidated, but neither is there strong proof that
15 the hypothesis is correct?

16 A Exactly. So from almost professional
17 experience looking at the results, you could see some
18 positives, but it's hard to tell whether -- we don't
19 see any positives in the summer flows. It's hard to
20 tell whether the summer flows we lost the gains that
21 we would have been seeing in the next winter flow, so
22 there was a confounding impact that maybe the winter
23 flows just weren't good enough also, but there was
24 indication that they were.

25 And so at this point I would go as far as

1 saying the winter flows were insufficient. But there
2 is also not outstanding evidence to say that they are
3 sufficient. But at this point, it's up for argument
4 basically.

5 Q Is there a way to determine if the results
6 in the monitoring report are reflective of errors or
7 inaccuracies in the HSHEP model as opposed to other
8 factors like sampling size or lack of flow, other
9 factors?

10 A All of those other factors go into your
11 unexplained variance in a statistical sense, so it
12 would have had to been designed to partition those
13 various errors to be able to differentiate the error
14 that is sort of the natural variability of
15 recruitment or seasonal rainfall versus model. It
16 was not designed to separate those components of
17 error.

18 With that said, and having now used the
19 model across Hawaii in various places, we are seeing
20 really good reflection of what it's telling us should
21 be in these streams, and what we're actually seeing.
22 So that is yet to be out in peer review for you to
23 cross-examine me on, so it's an opinion you're
24 hearing from me.

25 But we are seeing places, for example in Na

1 Wai Eha streams where USGS surveyed, and they said it
2 was really strange, we didn't expect to see these
3 animals in this location. It turned out to be one of
4 the most highly suited area for that species. It was
5 just sort of a weird quirk of stream geomorphology.

6 But the model was capturing that and
7 telling you that's where you should have expected
8 them. But it's hard to see that when you're
9 surveying on the ground to see what's going on in the
10 whole watershed.

11 So there is a number of events like that
12 that suggest we are right on target that I can give
13 you. Anecdotally now, as the peer review comes out,
14 that will have more evidence to support that.

15 Q Are there any current plans to tweak the
16 model?

17 A Yes, it's been ongoing. And the model
18 we're discussing here was the first application. And
19 yes, there have been improvements to the model. One
20 of the major improvements was this was an instream
21 flow battle, and still is a lot of times in Hawaii in
22 the sense of that's one of the major issues. So
23 things were focused on instream flow very heavily.

24 It's expanded to look at any stream channel
25 modification flow, whether channelization, whatever

1 is going on, so that it's no longer really focused on
2 the instream flow and still captures that, but also
3 captures all of the other things that can happen to a
4 watershed or a stream.

5 Q Thank you very much. I have no further
6 questions.

7 HEARINGS OFFICER MIIKE: Anybody else?

8 MS. SYLVA: Yeah, just a really quick two
9 or three questions.

10 RE-CROSS-EXAMINATION

11 BY MS. SYLVA:

12 Q Summer Sylva again.

13 Regarding the discussion on modifications
14 to the diversion structures, you know, would you
15 agree that the effectiveness of those modifications
16 depends on their design?

17 A Absolutely, 100 percent.

18 Q So any associated gains with respect to the
19 increase in habitat units are necessarily connected
20 to how effective that modification design is,
21 correct?

22 A Correct. And that's why I kept saying it's
23 a site-specific issue that's hard to give a
24 generality.

25 Q So have you seen any modifications applied

1 here to any one of these 27 -- one of these streams?
2 And I ask you that without looking at a photo that I
3 believe was emailed to you recently.

4 A Yes, I did get that. Let me get over to
5 that, and then we can specifically address that.

6 Q And we're circling back to photo 19,
7 November 16th modification, photo from the field
8 updates which were part of Dean's submission.

9 MR. YIP: So what was the date?

10 MS. SYLVA: November 16, 2011, I believe.

11 A That was which, the field investigation
12 of --

13 Q Of Honopou, November 16th. So
14 November 16th modification photo number 19.

15 A One moment. I got two e-mails in, and that
16 was not the one you were asking about. Okay, so this
17 was Alan's one, 11/16; correct?

18 Q Correct. And it's the email from you. And
19 basically my question is: The modification that you
20 see there to the left in photo 19, it's about --
21 previously Dean estimated that it was about a
22 six-inch wide ramp created to allow for the kind of
23 passage, fish passage along Honopou Stream.

24 Is that an adequate modification, in your
25 opinion, particularly if you understand what the

1 width of Honopou Stream is at that diversion point?

2 A Well, I'm going to caveat this in a whole
3 bunch of ways.

4 One, this is directly testimony. And so if
5 I'm going to answer you from a perspective, which is
6 the way I view these things, this is a directly
7 testable situation to understand how passable this
8 site is, both in upstream and downstream directions.

9 So it can actually be looked at in terms of
10 how suitable this is for passage, and how much
11 potential for entrainment or blockage in both up and
12 downstream directions there are.

13 And so from this picture, would I say is
14 this what I would consider a perfect like 100 percent
15 thing? No, not at all. But what was trying to be
16 achieved here is a different question.

17 And so I think in general, one of my takes
18 on these diversions and entrainment issues is the
19 attempt to make a passage as far away from the
20 diversion as possible.

21 So in not all cases is that an easy thing,
22 especially with these grates that run across the
23 bottom of the stream. But there are also diversions
24 that are side diversions. And so to try to get the
25 animals away from the actual diversion, in this case

1 you can say there's still, you know, drops and
2 everything else, but these animals do move up
3 relatively small, wetted pathways. They're not
4 moving up the center of exploding, torrential flow.
5 They're kind of going up the edges of it.

6 So providing a small trickle of flow may
7 actually provide passage. But it is testable. Don't
8 get me wrong. You can trap on both sides of it. You
9 can do a lot of things. You can downstream drift,
10 propagules that are the same specific gravity of
11 these eggs, you can do all kinds of things.

12 Looking at this you can make that
13 assumption, and there have been discussions about
14 this. There's a huge amount of literature in the
15 fisheries world about fish passage both up and
16 downstream.

17 So I'm not going to answer you maybe like
18 you want to say this is good or bad. I'm going to
19 say that this may have some positive impacts, but
20 it's unlikely to be the best possible solution --

21 Q And to the best of your knowledge --

22 A -- in terms of fish passage.

23 Q Got it. And to the best of your knowledge,
24 have these kinds of passages been tested on these
25 streams thus far to date?

1 A I do not think they have been tested to
2 date. And it has been an on-going discussion. And I
3 don't mean to knight for DAR, but it is limited
4 budgets that determine it. Getting out in East Maui
5 and doing a four-year study takes a lot of time and
6 effort.

7 And so addressing the instream flow issue
8 is a priority. Addressing these fish passage issues
9 is a priority. It's just another priority. And so I
10 think it is really important to look at that, because
11 of the potential gains that you could get for these
12 species with basically a modification, not a
13 restriction of water.

14 So the restriction of water use is a
15 different issues. You can do a lot of good things
16 with passage, and so I think that both of those
17 issues are very important to look at.

18 Q Okay, and my final question -- I'm sorry,
19 you wanted to say more?

20 A I'm done, thank you.

21 Q And my final question is: Regarding the
22 winter flow results from the 2015 study, if I
23 understand your earlier testimony, it's not
24 absolutely conclusive, which I think you said flow
25 values, or at the very least not invalidated, and

1 that the flow amounts were not necessarily
2 insufficient at this point.

3 Would you agree that more flow, not less
4 flow, would provide further clarity on the benefits,
5 if any, of streamflow restoration efforts?

6 A By definition 100 percent flow will improve
7 habitat. So probably from a scientific perspective,
8 setting up a direct study in which you had a set of
9 streams with some at 20 percent restoration, some at
10 50, some at 80 that are in close proximity, while
11 you're also looking at recruitment, would be an
12 approach to look at your application of instream
13 flow.

14 How much of this is the result of variety
15 of recruitment or other issues, and how much of this
16 is actually insufficient flow. That's why it's so
17 hard to give you a direct answer to that right now.

18 But it does appear that the winter flows
19 had some positive influence, and so your
20 characterization is true. And it's also true that
21 more water is better for the fish by definition in
22 the model, and I'm speaking in terms of how we
23 modeled it, that's an assumption.

24 Q Thank you very much.

25 MR. HALL: I have literally two.

1 HEARINGS OFFICER MIIKE: I'm going to ask a
2 question first.

3 Since the model was a model, it put out a
4 hypothetical number that would be sufficient for
5 reproduction and recruitment, et cetera.

6 It's not surprising that you're not going
7 to get the answer that you got when you put the water
8 in the first time, correct? That's basically a way
9 of seeing where you go from there?

10 THE WITNESS: Correct, I agree with that.

11 HEARINGS OFFICER MIIKE: Okay, thank you.

12 Mr. Hall.

13 REXCROSS-EXAMINATION

14 BY MR. HALL:

15 Q Dr. Parham, you talk about the cost of
16 modifying the diversions. Is there any document that
17 was submitted that included estimated costs?

18 A None that I'm aware of. The costs were
19 extremely crude in terms of -- I wish I could pull up
20 some of these pictures -- in terms of just looking at
21 the site and saying, is this something that could be
22 modified.

23 For example, I think East Maui -- I mean
24 East Maui -- East Wailuaiki -- pulling this out of my
25 head -- is an example of a diversion in which there

1 is a natural stream channel that flows by the
2 diversion. There's a small dam placed upstream, and
3 it pushes it into a second channel that goes to the
4 diversion. It would be relatively easy to notch that
5 little upstream thing and create a bypass channel up
6 the whole diversion. Any animals moving upstream or
7 that got caught in that bypass channel downstream,
8 are independent of the diversion. A very simple V
9 notch kind of fix. Other sites, there is no easy
10 way. Maybe they're located in a very steep and
11 torrential spot, you have to build some kind of
12 passage that doesn't get destroyed by the boulders,
13 or it's just not an easy engineering fix to see the
14 amount of stream power and the size of the boulders
15 that roll down these streams.

16 It just wouldn't be simple to figure out
17 how I would put something in here that doesn't get
18 destroyed in the next big flood. So that's as crude
19 of an estimate as there was, just looking at it, is
20 there obviously a simple fix here or does this look
21 like a site that would require some serious study in
22 how to get passed it.

23 Q So there's no documentation of that on a
24 diversion-by-diversion basis?

25 A So the documentation was in the 2010 DAR

1 letter to CWRM about -- and in the green columns one
2 of them was point of diversion, cost or difficulty.
3 I'll pull it back up and tell you exactly. One
4 moment while I pull that one back up.

5 It's down at the end, it's in Table 1,
6 Recommended East Maui Streamflow Ranks. And POD is
7 point of diversion effort to fix, and there's a
8 ranking placed on that. And that was DAR's expertise
9 given they surveyed it, spent a lot of time in that
10 area, and looked at a lot of pictures and things like
11 that.

12 Q There's no --

13 A Very crude.

14 Q There's no figure for what it would cost to
15 modify any particular diversion?

16 A No, right now -- again, I'm probably
17 jumping way out of line. There have been discussions
18 and the approach I was saying we need to do on these
19 diversions here is address this general concept of
20 these stream diversions, because there's only really
21 a few ways that these streams are modified, really.
22 Amount of grade, a side grade, and few other things.

23 So we take those, and we overlay your
24 typical fixes and then run it across the engineers,
25 and they could give you ballpark costs to put in. So

1 you'd begin to look and say, oh, we might have to
2 spend a million dollars to gain very little in this
3 case, but this one could be done with a couple bags
4 of cement.

5 But, again, this would require some on the
6 engineer side folks and the construction folks to
7 come in and give that sort of treatment so that we
8 could look at it, and actually have some validity to
9 our cost estimates to repairing these things.

10 Q Just the last question. I know Mr. Yip
11 asked you about making modifications to the
12 diversions and for entrainment purposes and for fish
13 passage purposes. But in most instances the benefits
14 of those won't come unless there's sufficient flow in
15 the stream in the first place; isn't that right?

16 A In a very general sense, yes. But much --
17 in these diversions which we're talking about
18 overtopping, there will generally be water in the
19 channel during the overtopping event, so these
20 animals potentially could get up through that area
21 and pass the barrier during the event. But that's a
22 small window in a lot of these. That's why the
23 restriction of passage is so strong.

24 But I think that restoration of flow,
25 passage improvements and reduction of entrainment are

1 all very important, and they should all be
2 considered. I don't think any one of them is the
3 answer by itself.

4 Q Thank you.

5 HEARINGS OFFICER MIIKE: Thank you,
6 Dr. Parham. You've been very patient. So thanks
7 again, and we're going to sign off.

8 A Well, thank you. Great talking with you
9 all.

10 HEARINGS OFFICER MIIKE: Let's adjourn
11 until quarter of 2:00. It's now about five past
12 1:00.

13 (Noon recess was taken.)

14 HEARINGS OFFICER MIIKE: Let's go back on
15 the record.

16 Our next witness is Glenn Higashi from the
17 Division of Aquatic Resources. Before we open him up
18 for cross-exam, I just want to offer him as a witness
19 in aquatic biology, expert in aquatic biology. Go
20 ahead.

21 GLENN HIGASHI

22 Was called as a witness by and on behalf of the
23 Hearings Officer, was sworn to tell the truth, was
24 examined and testified as follows:

25 -o0o-

CROSS-EXAMINATION

1
2 BY MS. KALAMA:

3 Q Good afternoon, Mr. Higashi. Should I call
4 you Doctor?

5 A No. My education is not high enough.

6 Q But you definitely have a lot of
7 experience. I see, 29 years working for the
8 Department of Aquatic Resources.

9 A That's correct.

10 Q By the way, I'm Camille Kalama, for Na Moku
11 Aupuni O Koolau Hui, as well as Lurlyn Scott and
12 Stanford Kekahuna.

13 Could you please tell me what is your
14 current position at the Division of Aquatic
15 Resources.

16 A I am an aquatic biologist at the Division
17 of Aquatic Resources. I've been working there about
18 29 years now mostly in the freshwater side. I was
19 working in the marine side before.

20 Q And have you maintained the same position
21 throughout the 29 years?

22 A Well, when I first started I was -- I
23 shifted over to the State. And I was in the marine
24 side for about ten years, then I moved over to
25 freshwater.

1 Q So about how long have you been an aquatic
2 biologist in the freshwater systems?

3 A About 19 years.

4 Q And in terms of, I guess, your authority
5 there, do you supervise others? Or are you a
6 supervisor? That's the same question.

7 A Well, I don't supervise other biologists.
8 I work with other biologists and supervise
9 technicians, and I do most of the stream work now for
10 the Division.

11 Q And is there currently a Director for the
12 Division?

13 A No, the position is vacant. We have an
14 acting one though, Carty Chang is the Acting
15 Director, Administrator for Aquatic Resources. The
16 position that was I guess last filled by Dan Polhemus
17 is not vacant.

18 Q Is Carty Ching still the Acting Director
19 given the nomination of Carleton Ching?

20 A Yeah, he's kind of wearing two hats, I
21 guess you could say, because we don't really have an
22 Administrator, per se. We're seeking one right now.

23 We also have three acting program managers,
24 so our Division is doing a lot of acting, so to
25 speak.

1 Q Well, just so I have a clear understanding,
2 if DAR was to make recommendations to the Water
3 Commission in this proceeding at this time, who would
4 have authority to make those recommendations, or at
5 least to finalize those recommendations?

6 A Well, I guess that was one of the things
7 that was concerning me when I was asked to testify by
8 Dr. Miike, whether I could represent the Division or
9 not.

10 And our previous Chairperson, which was
11 William Aila, who is also the Acting Administrator
12 for the Division, signed off on that, and says I
13 could represent the Division in that area.

14 Q So could you tell us today what DAR's
15 recommendations would be for the 27 streams at this
16 time?

17 A Right.

18 Q You were here for the testimony of
19 Dr. Parham when he spoke about the 2009 HSHEP report?

20 A That's correct.

21 Q So without walking you through everything
22 that we've already covered, I would like to briefly
23 go back to the report summary of each of the streams
24 that were studied.

25 I believe there were 16 streams, is that

1 correct?

2 A Uh-huh.

3 Q And you heard Mr. Hall review all the
4 conclusions for each stream with Mr. Parham, correct?

5 A Yes, that's correct.

6 Q So based on my understanding from reading
7 this and what I heard today from Mr. Parham, would
8 you agree that the only stream of the 16 that are
9 covered in this report that would not experience an
10 increase in habitat units from restored stream flows
11 was Ohia Stream; is that correct?

12 A Yeah.

13 Q So in other words, every other stream
14 that's covered in this report, would experience an
15 improved habitat restoration from the addition of
16 streamflow?

17 A Yeah. Any stream that you have in Hawaii
18 that you put more water back into will benefit from
19 restored stream flows.

20 Q I would like to turn your attention to page
21 77. I'm not sure yours has page numbers.

22 A No.

23 Q Well, this is right before the General
24 Conclusions of that study. Do you see the section
25 entitled Prioritization of Restoration Efforts?

1 A Yes.

2 Q Well, in the second paragraph in that
3 section there's a discussion of what would happen,
4 for example, if water was returned to the top 20
5 sites, there would be a return of 75 percent habitat
6 units, if I understand it. And the top 25 sites
7 would return 84 percent of the habitat units.

8 So is my understanding correct that the
9 modeling runs were used to look at how much habitat
10 would be restored if you returned flow to the
11 different sites?

12 A That's correct.

13 Q And there were ranges given, for example,
14 if we do 20, like it says here, if we do 25, you'll
15 get this much, and that you folks actually did that
16 with the model?

17 A Yeah.

18 Q Were those results ever provided to the
19 Commission on Water Resources Management?

20 A I think just the ones -- if this is similar
21 what you're talking about with report cards, there
22 was only eight of them worked on. The rest, the
23 other 19 were not worked out.

24 Q Why is that?

25 A Timewise, we didn't have time to actually

1 do all 19.

2 Q And if you had time, do you have the data
3 in hand basically or available to complete that?

4 A We would probably have to collaborate with
5 Dr. Parham on actually getting the data he has, and
6 try to arrange it into those cards.

7 Q So he has some of the data that you don't
8 have or DAR doesn't have?

9 A Yeah. And then there's also, if you looked
10 at the report cards, there was also a map on the
11 left-hand side which showed where the diversions
12 were, and that was basically provided to us by CWRM.

13 Q Okay. Well, we'll get to that shortly.

14 Now I'm looking down on the same page 77,
15 there's a sentence that says, it starts about the
16 middle of the last paragraph.

17 It states that: "Given the importance of
18 freshwater for human use, using the results of HSHEP
19 to provide guidance in choosing the most effective
20 management actions aimed at improving instream
21 habitat." Do you see that?

22 A Uh-huh.

23 Q So in other words, this model was really
24 telling you how much you could restore using the
25 least amount of water available; is that right?

1 A Yeah, I think it was looking at what was
2 minimally required for the habitat for the animals.
3 This model was really based on over 9,000 animal
4 observations that we had done ourselves from our
5 surveys. And these requirements were actually
6 incorporated into the model.

7 Q I see. Do you see about two sentences
8 later it says: "This gives DAR the ability to
9 develop statewide management and restoration targets
10 for native animals in Hawaiian streams"?

11 A Uh-huh.

12 Q My question is, when it comes to the
13 authority of DAR, does DAR have any authority to
14 control which streams are restored and which are not?

15 A No. We can only make recommendations to
16 CWRM.

17 Q And then CWRM ultimately makes that
18 decision?

19 A Yes.

20 Q I'm going to turn your attention to
21 Appendix B that was attached to your declaration.
22 This is the letter of December 15, 2009, from Dan
23 Polhemus to the CWRM.

24 Now my question is, were you a part of
25 creating or developing the recommendations that are

1 included in this letter?

2 A We did have input to the letter.

3 Q When you say "we," who are you referring
4 to?

5 A Myself, Robert Nishimoto, and Jim and a few
6 of the other biologists.

7 Q And so how -- if you can explain how you
8 got from the conclusions in your 2009 study, which
9 basically concludes that restoration to all but one
10 stream would result in positive habitat restoration,
11 down to the eight streams that were recommended in
12 this letter, the 2009 letter?

13 A Well, there was -- again, and I think
14 Dr. Parham had addressed this earlier when he talked
15 about looking at the eight streams that were related
16 to taro production. And this is what we were told by
17 CWRM, that the ones that we needed to look at that
18 was important, so this is where we went.

19 Q I see. So you're referring to looking at
20 the 19 of the 27 streams?

21 A Yeah.

22 Q Now, specifically with this letter, the
23 Polhemus letter, there are only eight streams that
24 are included in DAR's recommendations. And I'm
25 wondering -- my understanding from Mr. Parham's

1 testimony was that he was not part of picking and
2 choosing the eight streams to recommend; is that
3 correct?

4 A That's correct.

5 Q So how did DAR decide on recommending only
6 these eight streams for restoration?

7 A Again, we were directed by CWRM.

8 Q You were directed by CWRM to pick these
9 streams?

10 A Yeah, to look at these streams.

11 Q And in particular, only the eight of the
12 19?

13 A Well, we did surveys on all of them, but we
14 did not direct our efforts towards all 19 of the
15 streams. And we were directed towards the eight
16 streams that they felt we needed to look at.

17 Q So CWRM actually chose these streams for
18 you to look at, these eight in particular?

19 A Yeah.

20 Q Do you know why that is?

21 A Again, I think it's because of the fact
22 that they're associated with taro production.

23 Q Just to be clear, these eight streams are
24 not the taro streams.

25 A These are taro streams as well.

1 Q No, I know it's confusing, because it's
2 eight and eight, but these streams are actually not
3 prioritized for taro, I'll represent that to you.

4 A Okay. Well, according to the letter that
5 NHLC and CWRM that I guess these were the eight of
6 the 27 streams that we needed to focus on.

7 Q Are you looking at something in particular
8 in this letter?

9 A This line here (indicating).

10 Q So we're talking about the first paragraph
11 where it says: "NHLC and CWRM staff reached an
12 agreement that efforts would focus on eight of the 27
13 petition streams"?

14 A Right.

15 Q So they're listed right there, where it
16 says Honopou, Hanehoi, Huelo, Waiokamilo, Kualani,
17 Piinaau, Palauhulu and Wailuanui streams; correct?

18 A Correct.

19 Q And then it says: "Subsequently, CWRM
20 began deliberation for setting IIFS for the
21 additional petition 19 streams."

22 Do you see that?

23 A Uh-huh.

24 Q And so in this letter it says that the DAR
25 provide recommendation focused on the additional 19

1 streams.

2 A That's correct.

3 Q So my understanding is that when we look to
4 pages 2 through 4, we're looking at streams that are
5 in that 19 --

6 A That's correct.

7 Q -- remaining streams. Okay.

8 So, again, when I look at the eight streams
9 in this letter, my question is, how did DAR decide
10 that they would only recommend restoration for these
11 eight of the 19 remaining streams?

12 A I think with the HSHEP modeling, this is
13 some out of the 19 streams, these are the eight
14 streams that we came up with.

15 Q And would this be like minimum that DAR
16 believed was acceptable for habitat restoration to
17 support these stream animals?

18 A I think it was with the habitat units, it
19 was the most habitat units, probably the higher
20 habitat units in the east of restoration with the
21 criteria for selecting these streams.

22 Q I understand. You're talking about the
23 consideration that the model took into --

24 A Yes.

25 Q And as far as the model, did the model say

1 to pick only eight of the 19 streams for restoration?

2 A No.

3 Q So at some point there was a decision that
4 these eight would be the only ones recommended for
5 restoration?

6 A That's correct.

7 Q And was DAR, to your knowledge, given any
8 directive as to how much -- how many of these streams
9 could be restored?

10 A I don't know. They may have told, they may
11 have told Dan that, you know, he could have done
12 whatever with the eight, or he could have done more,
13 but I wasn't in charge. He was the one who wrote
14 this letter, so he probably would have more
15 information than I would as far as how we went about
16 getting just eight.

17 Q But as far as the model is concerned, you
18 could have provided -- or DAR could have provided
19 information as to all 19 streams?

20 A Yes.

21 Q Do you remember when this letter was
22 submitted to CWRM, on December 15th?

23 A Yeah.

24 Q And if you recall, there was a CWRM meeting
25 on December 16, 2009; do you remember that?

1 A That's correct.

2 Q Do you know why this letter came out one
3 day before that meeting with these important
4 recommendations?

5 A Well, at the time I think CWRM wanted some
6 kind of instream flow idea about, you know, which
7 streams could be restored. So I think Dan felt that
8 it was DAR's obligation to provide this
9 recommendation.

10 Q And you were part of making this
11 recommendation, correct?

12 A Yes.

13 Q Well, if we took a look at page 2, the
14 third paragraph down, there's a bolded sentence.
15 Could you read the bolded section for me?

16 A "Although the DAR understands that some
17 water will continue to be diverted from East Maui
18 streams to meet such needs, the DAR feels that the
19 continuance of the status quo for all but one of the
20 stream diversions as proposed in the current CWRM
21 petition is unacceptable, and therefore, has provided
22 recommendations for additional restoration actions.

23 Q Could you explain that? Are you able to?
24 Let me see if I can back up.

25 So your study came out in November of 2009

1 HSHEP report --

2 A Uh-huh.

3 Q -- in which you included, or the collective
4 of authors included recommendations and conclusions
5 for each of the 19 streams. And then at some point
6 CWRM had suggested restoring one stream. Is that
7 what I'm getting from this bold statement?

8 A I'm not sure that they suggested just one
9 stream or not.

10 Q Well, the part you read that says, "DAR
11 feels that the continuance of the status quo for all
12 but one of the stream diversions as proposed in the
13 current CWRM petition is unacceptable."

14 A I guess that's what Dan felt, that they
15 felt that there was only continuances of status quo
16 for all but one, then he felt otherwise.

17 Q And as part of making this recommendation
18 for the eight streams, would it be fair to say that
19 this was a reaction to the CWRM's proposal restoring
20 just one of the streams?

21 A I don't know. I can't answer that
22 question, because I don't know how he figured it out.

23 Q But you were involved in --

24 A Yeah, I was involved in making the
25 recommendations, but I wasn't -- the final decision

1 of what he wrote in this part about the one stream.

2 Q Well, as far as your involvement, how did
3 you come to decide that only eight would be
4 recommended of the 19?

5 A Again, going back to the HSHEP model with
6 what we went through, you know, based on the amount
7 of diversions on the streams, the amount of habitat
8 that we would gain from each one of the streams that
9 would actually put the water back, these were the
10 ones that we actually came out with.

11 Q Looking at page 4 of the Polhemus letter,
12 can you read the last sentence before "sincerely"?

13 A "The above recommendations proposed flow
14 restoration on only eight of the 19 streams under
15 consideration, but would result in restoration of
16 45.8 kilometers of native species habitat units, out
17 of a total of 67.3 kilometers of habitat units
18 currently lost as a result of the major ditch
19 diversions."

20 Q And that last sentence.

21 A "They therefore represent a significant
22 return of ecological function based on a modest
23 investment in flows restoration, and we urge
24 favorable consideration."

25 Q Okay. So would this be essentially the

1 biggest bang for the buck theory?

2 A I think that's probably really what it's
3 indicating, yes.

4 Q And where it says "a modest investment in
5 flow restoration", to your knowledge was DAR given
6 any indication of what amounts would be considered
7 for flow restoration?

8 A No, no.

9 Q So this was based on DAR's assessment of
10 what would be modest and reasonable?

11 A Yeah, that's based on what we came up with
12 as far as what we thought Dan required.

13 Q But going back to the 2009 study which was
14 using the model, there were actually different
15 scenarios that were run through that model; isn't
16 that right, as far as how many of the multiple
17 diversions were considered?

18 A Yeah. I think that they're listed
19 different multiple diversions. And again, I think
20 more of this came out in that following letter in
21 2010, the one that actually Dr. Bob wrote to Ken
22 Kawahara.

23 Q That's fine. We can move on to Appendix C
24 to your testimony, the April 1st, 2010 letter.

25 Is that what you're referring to?

1 A That's correct.

2 Q Now, as far as this letter, it includes
3 attached so-called report cards for the eight streams
4 that were recommended; correct?

5 A That's correct.

6 Q And so you testified earlier that DAR
7 simply didn't have enough time to generate these same
8 types of report cards for all 19 streams prior to the
9 date of this letter, I suppose?

10 A That's correct.

11 Q But if asked, and given the cooperation of
12 Dr. Parham, DAR could generate similar types of
13 report cards for the remaining, or of the 19 streams;
14 is that correct?

15 A Yes. But then again, no, because right now
16 as far as our stream programs are concerned, in 2013
17 it ended. So actually any type of funding we have
18 for stream work is not being funded directly from our
19 stream program any more. It's just doing the work as
20 general funds.

21 Q So does that mean if DAR was asked to
22 provide such a report, that additional funding would
23 also be required to support them?

24 A That's probably -- yes.

25 Q But as far as the data that would be

1 required is generally available?

2 A Yes, it's available.

3 Q And similarly, if you look at the tables on
4 the last page of that same Appendix C, I see that the
5 tables also only cover the first eight streams.

6 A That's correct.

7 Q And similarly, could these tables be --
8 could you generate tables to include all 19 streams
9 if asked and if funded?

10 A I think so.

11 Q How about all 27 streams, would DAR be in
12 the position to also generate that for those?

13 A Again, yeah, I think so, with the funding
14 and the help, with the collaboration with Jim.

15 Q Do you have any idea how long something
16 like that would take?

17 A I don't have any idea, because he's the one
18 who gets data from the model.

19 Q Now, looking at the April 1st, 2010 letter
20 itself, there are a number of bullet points which
21 basically, I understand, cover DAR's general position
22 on stream restoration; is that correct?

23 A That's correct.

24 Q And beginning with the first bullet point,
25 it refers to DAR supporting minimal viable habitat

1 flow at 64 percent of median baseflow, you see that?

2 A Yes.

3 Q And is it still DAR's position that
4 64 percent of median baseflow is the minimum
5 necessary to provide the suitable conditions for
6 growth, reproduction and recruitment of native stream
7 animals?

8 A Yes and no. It depends, I guess, the amount
9 and what stream we're talking about. What we found
10 out from the 2015 report, that I think the 64 percent
11 was close to what the winter flows were. However,
12 the time of the study was not long enough to really
13 conclude whether it was working or not, or whether it
14 was sufficient for all these biological activities to
15 occur. But we definitely found out that for that
16 second bullet the minimum flow was not enough.

17 Q So as far as DAR's current position, the
18 second bullet point is no longer valid?

19 A No.

20 Q And how about the third bullet point talks
21 about seasonal flows. Is that something that DAR is
22 still supporting as a possible restoration effort?

23 A I think the seasonal flows kind of went out
24 with the second bullet point.

25 Q And how about the remaining bullet points

1 in terms of avoiding entrainment, restoring
2 streamflow that reflects the water budget, catchment,
3 avoiding commingling, and restoring a broad range of
4 streams?

5 A We still support the rest of the bullet
6 points.

7 Q With respect to the last one as far as a
8 broad range of streams to support the stream animals,
9 were you here when Dr. Parham referred to, or was
10 asked about basically these larvae winning the
11 lottery if they return to the right place?

12 A Yes, I was here.

13 Q And wouldn't it be like giving them extra
14 tickets to the lottery the more streams you restored?

15 A That's true in one sense, but in another
16 sense we're finding out that some of the streams --
17 and these are under research, we're finding out that
18 some streams are sinks and some streams are sources.

19 What I mean by sinks and sources is some
20 streams produce a lot of babies, so they actually
21 help the population; and others, the animals go in it
22 and basically there's not enough habitat or water in
23 those areas where they can actually reproduce and
24 provide viable offspring, so those areas are sinks.
25 They just take in the progeny. Once the progeny

1 grows up to be an adult, then that's it. They don't
2 reproduce in there. There's not enough water or
3 habitat.

4 Q And in some cases would that not enough
5 water habitat be caused by diversions?

6 A Not necessarily by diversions. It just
7 depends on the geography and geological
8 characteristics of the watershed.

9 Q Are you referring to losing stream reaches?

10 A Not necessarily losing stream reaches, but
11 we have seen intermittent streams that have very
12 healthy fish populations above the intermittent area.
13 So when you have freshets and there's a connection
14 between where the water is and where the ocean is,
15 that dry area becomes wet. Those are actually areas
16 that actually provide progeny for the gobie
17 population.

18 Q So if I understood what you just said, in
19 some cases intermittent streams still provide
20 suitable habitat?

21 A They could be intermittent or they could be
22 perennial, yeah. But I was just giving you an
23 example of intermittent streams, because people think
24 that intermittent streams are really not functioning
25 streams, but actually they are because of the nature

1 and the dynamics of Hawaiian streams with the rain,
2 that that dynamic actually -- the dynamics of the
3 rain and freshets is actually what triggers the
4 spawning and recruitment.

5 Q So would it be fair to say that losing
6 reaches are intermittency alone would -- could not be
7 alone the factor not restore a stream?

8 A Yeah. I think the losing reaches are --
9 the problem with the losing reaches, yeah. It
10 couldn't be a factor alone, but it does prevent
11 connectivity between ocean and upper areas.

12 Q But in some cases those events, like
13 rainfall events, then connect those areas?

14 A That's correct.

15 Q Now, I understand that there wasn't enough
16 time to create report cards for more than the eight
17 streams that were recommended for this April 10th,
18 2010 letter. But wouldn't you agree that it would be
19 useful for the Commission to have that kind of
20 information as the ones who are making the policy
21 decision about restoration?

22 A Yeah, I'd say so.

23 Q Because, again, DAR is not -- has no
24 authority to actually determine which ones, which
25 streams are restored and which are not; correct?

1 A That is correct. But we were just looking
2 at which ones would be the easiest for restoration
3 purposes, and habitat, habitat gain.

4 Q And looking at page 2, it's not numbered,
5 of the same letter, there are a number of factors
6 listed, or criteria, I should say, that it says DAR
7 used to reassess the streams recommended for
8 restoration in East Maui. Do you see that? It's on
9 the top of page 2.

10 A Uh-huh.

11 Q So where it says -- actually, I should ask
12 you, this is a letter from Bob Nishimoto?

13 A Yes.

14 Q Do you know where it says -- were you a
15 part of drafting this letter?

16 A Yes.

17 Q So do you know where it says that DAR used
18 several criteria to reassess the streams, is it
19 talking about reassessing the recommendations made in
20 the earlier Polhemus letter?

21 A That's correct.

22 Q And in looking at those recommendations, I
23 understand that -- well, it says here that Honomanu
24 and Makapipi were eliminated for consideration after
25 consultation. Is that right?

1 A That's correct. We were told that they
2 were a -- particularly Makapipi -- we were told that
3 was a losing stream and maybe Honomanu too. That's
4 what Jim was talking about.

5 Q And Honomanu was, in fact, the number one
6 priority for restoration from the 2009 study;
7 correct?

8 A Correct.

9 Q And were you part of the consultation with
10 CWRM, USGS and Bishop Museum that this letter refers?

11 A Yes.

12 Q And during that consultation, was it your
13 understanding from input from these other agencies,
14 that restoring water to Honomanu could not basically
15 restore that losing reach that is in Honomanu?

16 A At the time, like Jim was saying, at the
17 time that USGS told us that it was a losing reach, we
18 weren't aware of that. What he had said later on,
19 that basically they put water back, it may not be
20 losing water.

21 Q And knowing that now, does that change
22 your -- as far as DAR's position, on recommending
23 Honomanu for restoration?

24 A It would be something to revisit and look
25 at, yes.

1 Q How about Makapipi?

2 A Makapipi, we were told that that was a
3 losing stream by CWRM, so we wouldn't consider that.

4 Q And just like with Honomanu, if you
5 understood that a losing reach could be reduced or
6 eliminated with the return of stream flows over time,
7 would that also change your position as to Makapipi?

8 A Again, we'd probably want to revisit
9 that --

10 Q Are you aware --

11 A -- that data.

12 Q Sure.

13 Are you aware that USGS studied a
14 controlled release of Makapipi?

15 A No, I'm not.

16 Q Would that information help to further
17 inform DAR's recommendation as to Makapipi?

18 A I'm sure -- if I wasn't aware of it, that
19 Bishop Museum, that Jim Parham was aware of it. And
20 I would probably refer to him on whether that would
21 affect Makapipi or not.

22 Q As far as the modeling?

23 A Yes.

24 Q So Dr. Parham actually runs the model and
25 then provides results to DAR, is that how it works?

1 A Right.

2 Q Now, if you see number -- where it says
3 fifth, the number and difficulty of modifications for
4 diversions was considered. Do you see that?

5 A Yes.

6 Q And in considering the difficulty of the
7 modifications, in other words, is that what informed
8 DAR's recommendation on which points of diversion to
9 modify or not?

10 A It did come into play in the selection of
11 streams. If you have streams that have three
12 diversions on them, if you can't fix the passage and
13 you actually restore flow, it doesn't make any
14 difference to if the fish can get past the first
15 barrier, if they can't get past the second or third
16 barrier.

17 Q If you see the sentence that follows, it
18 says that: "Our current assessment of this factor
19 would be improved through consultation with HC&S,
20 CWRM, and other experienced engineers and fish
21 passage experts." Do you see that?

22 A Uh-huh.

23 Q And has that kind of consultation happened
24 since the date of this letter?

25 A No. There were ideas thrown around, but I

1 don't think we've really brought in an experienced
2 engineer with a fish passage expert to actually look
3 at it.

4 Q And in reviewing these modifications for
5 diversion, did you ever come across documentation or
6 anything regarding the cost to modify those
7 diversions?

8 A No, we never got that far.

9 Q And why not?

10 A Well, that's a good question. I guess it's
11 just getting the people together, getting the
12 different groups together and trying to figure out
13 what would best work with the different diversions,
14 and it would be something that you couldn't do an
15 overall fix for all the diversions.

16 Like Jim was saying, some of them are, you
17 know, take the whole stream width, some are on the
18 side. So it depends on the specific diversion were
19 you look at.

20 Q Sure.

21 And, however, CWRM did determine that some
22 streams would be restored in 2010, correct?

23 A That's correct.

24 Q So for those streams that had some
25 restoration, was DAR involved at all in reviewing or

1 assessing the modifications to the diversions on
2 those particular streams?

3 A We looked at the ones that they were --
4 they had modifications on, but we hadn't done any
5 surveys or anything to find out if they were valid or
6 not.

7 Q So in other words, DAR has never evaluated
8 the effectiveness --

9 A No, no.

10 Q Now, in six it says, we considered the
11 efficient use of water in terms of the rate of
12 habitat units restored of water returned.

13 Can you explain what that means as far as
14 efficient use of water?

15 A I think it's referring to specifically the
16 habitat units.

17 Q As far as efficiency, is that also
18 referring to the biggest bang for the buck theory?

19 A I guess the most wise use would be a better
20 word than more efficient.

21 Q The most wise in terms of --

22 A For the habitat in terms of the rate of the
23 habitat units restored.

24 Q But that's not the same as saying this is
25 the best for the fish and the habitat, is that

1 correct?

2 A No. I think take it in a way when we
3 looked at it, we did consider the best or wisest use
4 of the water returns for the habitat units that
5 were -- where water was returned.

6 Q But isn't it assuming that you cannot
7 restore at least a minimum level of habitat to all
8 the streams?

9 A What do you mean restore the minimum
10 habitat?

11 Q I mean, when it says "efficient use",
12 there's a determination that you're picking and
13 choosing which streams to restore versus providing
14 the information to the Commission on restoration.

15 A Yeah, probably it's indicating that we were
16 looking at what streams would have the, I guess, the
17 best habitat, efficient use of the habitat restored
18 for water returned for the specific streams.

19 Q And, again, DAR provided recommendations
20 for the eight streams that it determined should be
21 restored, but did not provide the information for all
22 19 streams; is that correct?

23 A That's correct.

24 Q Now, you see seven, it says, we evaluated
25 whether the stream was commingled with ditch water

1 and whether to restore there. Do you see that?

2 A Uh-huh.

3 Q And in looking through the stream report
4 cards, I noticed that one stream does refer to that
5 commingling, and I believe it's Kopiliula?

6 A Right.

7 Q Now, are you aware of the streams that CWRM
8 determined were so-called conveyance streams? Do you
9 know what "conveyance" --

10 A Yes, I know what that is.

11 Q I see in the report cards that my
12 understanding -- and correct me if I am wrong -- but
13 Kopiliula was the only stream identified by DAR as
14 having s commingling issue. Do you recall that?

15 A Yes.

16 Q And, in fact, as part of this report card,
17 DAR recommended a modification that would address the
18 commingling issue; isn't that correct?

19 A I don't think it was the only stream that
20 has commingling. Isn't Waikamoi also a stream that
21 has commingling?

22 Q You tell me.

23 A Okay, yeah. According to -- yeah, what I
24 was told, Waikamoi was also a stream that has
25 commingling water from another ditch, so there's

1 actually two of them.

2 Q And then are you aware that the CWRM also
3 identified Haipuaena and Puohokamoa conveyance
4 streams?

5 A No, I was just familiar with those two.

6 Q Okay. So are you aware that in 2010 the
7 CWRM came out with their recommendation of streams to
8 restore -- or the staff, I should say, to the
9 Commission -- and they had decided on five streams.
10 Are you familiar with their recommendation?

11 A No.

12 Q Well, of your eight streams, or of DAR's
13 eight streams, the three streams that were left out
14 of the CWRM's recommendation included Puohokamoa,
15 Kopiliula and Haipuaena for the stated reason. I'll
16 represent to you that they were conveyance streams?

17 A Okay.

18 Q My question, were you or was DAR ever
19 consulted by the CWRM as to those three streams for
20 that particular issue?

21 A I think we might have been consulted for
22 commingling streams, and particularly for issues of
23 invasives moving from one watershed to another.

24 Q And so I see at least from your report
25 cards that DAR addressed that issue for Kopiliula

1 Stream by making a specific recommendation to the
2 diversion modification.

3 Do you see that? I'm looking at the third
4 to the last sentence on the Kopiliula Stream report
5 card.

6 A Uh-huh. I see that.

7 Q Can you describe what that fix was, I
8 suppose, for the commingling flows?

9 A It says it would involve a box flume from
10 the upstream area of Kopiliula bypassing the area of
11 commingling of the ditch and stream water and
12 downstream of the diversion wall.

13 Q So in other, words DAR was aware of the
14 commingling flows, and with this recommendation DAR
15 nevertheless recommended restoration to that stream
16 for 2010; isn't that correct?

17 A Yes.

18 Q And had CWRM consulted with DAR about
19 Haipuaena and Puohokamoa, would it be reasonable to
20 expect that DAR could have come up with possible
21 recommendations to address those commingling flows?

22 A It's possible.

23 Q But to your knowledge --

24 A That wasn't done, no.

25 Q Now, turning to Appendix D, attached to

1 your testimony, which is a letter of May 17, 2010,
2 were you involved in drafting this letter?

3 A Yes.

4 Q Now, again, on page three, if you look at
5 the third bullet point down, it refers again to this
6 biggest bang for the buck concept. Do you see that?

7 A Uh-huh.

8 Q So, again, DAR was prioritizing in this
9 letter specific streams for restoration; correct?

10 A That's correct.

11 Q And was DAR, to your knowledge, at this
12 time, under any directive from the DLNR chair, I
13 suppose, for what kind of recommendations DAR was
14 expected to provide?

15 A Basically, on this one, their request was
16 for flow estimates for H₅₀ and H₇₀. And at the time
17 that I can recall that, those flow amounts weren't
18 really enough to make a difference.

19 Q Are you referring to Table 1 on page 5?

20 A Yeah.

21 Q So in other words, DAR was requested to
22 provide those flow amounts for H₇₀ and H₅₀, even though
23 at least DAR's position was that those were not
24 supported biologically?

25 A Well, basically, yeah. I mean when we

1 worked it out, and I think they have H-36 to H_{min} to
2 H₇₀. We did produce some anyway to show the amount of
3 median baseflow, what would be the diversion flow
4 levels for the diversion of the streams.

5 Q So is it my understanding that DAR does not
6 support restoration at those levels of flow, is that
7 correct?

8 A No -- yes.

9 Q Thank you.

10 So did you have any understanding why the
11 Commission or CWRM staff, as far as their
12 recommendations to the Commission in 2010, were
13 different from DAR's recommendations?

14 A What do you mean "different" from?

15 Q As far as -- so you recall that DAR
16 recommended eight streams of the 19 for restoration?

17 A Right, right.

18 Q And do you recall that the CWRM staff
19 recommended less than those eight?

20 A I guess.

21 HEARINGS OFFICER MIIKE: I think you went
22 through this line of questioning already.

23 THE WITNESS: I guess if they did, they
24 did. I mean, I don't recall offhand exactly.

25 HEARINGS OFFICER MIIKE: The testimony is

1 already you recommended eight, they recommended five.
2 The difference was in commingling in three. But if
3 you want to expand on that, go ahead. But we have
4 already covered that.

5 Q (By Ms. Kalama): I'm going to turn to the
6 2015 study, which is Appendix E to your testimony.

7 So is it -- is my understanding correct
8 that you were one of the ones on the ground for this
9 study?

10 A That's correct.

11 Q And earlier in your testimony you suggested
12 the longer term study would have been more useful, is
13 that accurate?

14 A Yeah. I think the period that we got to do
15 this study, the baseline before the water was
16 restored to, you know, during the water restoration,
17 I don't think it was enough time. I think the fact
18 that you had peculiar weather, climate conditions, we
19 had droughts, we had a lot of rain during the summer
20 months, so it really kind of muddied the water as far
21 as what was happening within the system.

22 And I think a study of maybe at least five
23 years minimum would probably give you a better handle
24 about what's going on. Because when we looked at the
25 actual figures of what we saw the animals, I mean,

1 you couldn't tell because what happened in the wet
2 season seemed to disappear in the dry season and
3 showed up in the wet season and then disappeared
4 again.

5 Q And that's consistent with what Dr. Parham
6 --

7 A That's correct.

8 Q And when you say five years, are you
9 talking about five years after the releases begin?

10 A Yeah.

11 Q Because this study took four years,
12 correct?

13 A That's correct. And the reason it was cut
14 short was, again, because funding. We lost our
15 funding for the stream program.

16 Q And in conducting the study, DAR chose
17 three streams to study; correct?

18 A That's correct.

19 Q But were you aware that the Commission
20 amended IIFS's for five streams?

21 A Yes, but the problem was, again, funding
22 and manpower.

23 Q And so how did DAR go about choosing which
24 streams to study these restoration efforts?

25 A If I can recall, we were looking at

1 accessibility for one, whether we can access the
2 streams. And as it turned out, the lower reaches of
3 the three streams that we selected had to be accessed
4 through helicopter. But all of them could be
5 accessed above the highway, Hana Highway.

6 And we also looked at the possibilities of
7 doing monitoring sites in the middle, but then again
8 there was a problem of accessibility. Because along
9 that coast, you know, because of the cliffs and
10 everything else, it's really hard to access the
11 areas. So that was one of the problems that really
12 made it hard for us, and I think that's why it got
13 cut down to three streams.

14 Q And on page 2, I believe, of the Executive
15 Summary, about the third full paragraph in the middle
16 of the page, the part that says, "correlation between
17 return flows, habitat and biota was weak".

18 A Uh-huh.

19 Q And it goes on to talk about a number of
20 factors that may have contributed to that
21 relationship being difficult to prove.

22 Can you talk a little bit more about those
23 factors?

24 A That's what I was just mentioning about the
25 environmental conditions with the rainfall, drought,

1 flash flooding. Sometimes we got -- actually, we got
2 rained out because of the waterfalls and the water
3 was just too muddy and too dangerous for us to get
4 into the areas.

5 So we did monitor these things quarterly,
6 and basically, you know, with the amount of time that
7 we had to go in there, I think we lost one quarter
8 out of all the streams.

9 Q One quarter in terms of time?

10 A Time, timewise, yeah. And that's why we
11 think that, you know, four years is not really long
12 enough.

13 Q That you need five years after flows are
14 restored?

15 A Yeah. You need a longer time period with
16 more constant environmental conditions.

17 Q And would it help to have what has been
18 called controlled releases to Honomou for your
19 study?

20 A When you say "controlled releases," you're
21 talking about the amounts that they release?

22 Q I'm talking about, for example, restoring
23 full flow to a stream to evaluate under -- to get as
24 close as we can, I suppose, to more natural
25 conditions?

1 A Yeah, I guess, controlled releases.

2 Q That would help inform your study?

3 A (Witness nods head up and down.) But it
4 depends on whether those controlled releases can be
5 done over a period of time, a short period of time,
6 or it's going to be a long period of time.

7 Q And these streams have been diverted for
8 some time now, so at other points in your study you
9 refer to possibly a slow change in habitat response
10 or a slow habitat response.

11 Can you explain that a little bit?

12 A Yeah, I think what that meant was that even
13 though you put water back in the streams, you may not
14 get animals recruiting right away. It may take some
15 time for the animals to recruit up. So you're not
16 going to see a rapid response right away.

17 Q Moving down that same page 2, two
18 paragraphs down, there is a reference to using the
19 modeling and the studying within an adaptive
20 management framework. Do you see that part? Second
21 to the last paragraph.

22 A Uh-huh.

23 Q So can you explain what that means?

24 A I think what we were getting at here is to
25 look at the flows and changing the releases just to

1 kind of get a better idea of adaptive management, not
2 just setting it at this flow and then leaving it, but
3 look at what improves and what doesn't improve.

4 That's what I think we mean by adaptive
5 management, having enough flexibility to release more
6 water for longer period or whatever, you know, to
7 make a difference.

8 Q Well, to your understanding, are you aware
9 that there is currently an adaptive management system
10 in place for the streams that have been amended so
11 far for their IIFS's?

12 A When you say "adaptive management," you're
13 talk about flows or --

14 Q Yes, that's one possibility with an
15 adaptive management strategy.

16 A Okay, but you said they're using it now,
17 but we don't know -- we're not monitoring flows. Is
18 CWRM monitoring the flows?

19 Q That was actually going to be my question,
20 is, if you were aware of whether any IIFS's that were
21 set in 2008 and 2010 by the Commission have ever been
22 changed during the following years after those flows
23 were set, or those instream flow standards were set?

24 A I think that's as far as we know what CWRM
25 told us, that is what we were going on.

1 Q So if you knew, for example, that an
2 adaptive management framework may take quite some
3 time before, say, an instream flow standard was
4 amended to adjust as you just talked about, would
5 you, in recommending certain flows to the Commission,
6 would you consider including some amount of buffer to
7 those flows, knowing that an adaptive management
8 framework may not be immediately responsive?

9 A I think a buffer wouldn't hurt, you know.

10 Q Did DAR ever evaluate, quantify that?

11 A No, that wasn't brought up, that there
12 would be a buffer or anything.

13 Q But DAR's position is that the 64 percent
14 baseflows is generally a guide to what is minimum?

15 A Well, it was a first set amount of flow to
16 release. And basically, you know, what DAR is
17 supposed to do for CWRM is provide them some amount,
18 because they didn't come up with an amount. You
19 could throw any amount in there, but the thing is, we
20 don't know if it works or not unless you actually
21 monitor it.

22 Q In fact, those amounts are based on models
23 and estimations; correct?

24 A Right, right.

25 Q So actually, if you set it at that amount,

1 you're hoping it achieves it, but not certain that it
2 will?

3 A You're not certain, but then that's what
4 the monitoring is for.

5 Q So the monitoring you're talking about is
6 this adaptive management framework?

7 A Uh-huh.

8 Q So you would be able to adjust then what
9 you thought was the correct IIFS amount?

10 A Right, it's the starting point.

11 Q The starting point?

12 A Yeah.

13 Q And as far as this 2015 study, I heard
14 Dr. Parham testifying, which you may have, that it
15 wasn't clear that the 64 percent standard for the wet
16 season was sufficient, but that he wasn't ready to
17 back away from that as a starting point.

18 A I think, yeah, that would be a good
19 starting point. And then see, monitor it and see
20 where it goes from there, if that's enough or not.

21 Q In other words, that amount for the full
22 year, not just seasonally?

23 A Yeah, I think the seasonality thing got
24 thrown out, and I think even CWRM had set a flow
25 release for the full years rather than having to

1 investigate during the winter season and the summer.

2 Q So it's also a management issue as well?

3 A Yeah, yeah.

4 Q And isn't it true that if -- would you
5 agree that if you set the minimum flow standard at
6 that 64 percent level, it would require effort and
7 management to monitor those levels to ensure that it
8 actually protects the minimum habitat; is that
9 correct?

10 A Yes.

11 Q So, again, if DAR was just faced with
12 providing advice on biological benefit, would you
13 agree that setting -- including some amount of buffer
14 would be prudent?

15 A It wouldn't hurt.

16 Q Now, has DAR been asked to provide any
17 recommendation for this current process that we're
18 going through right now?

19 A Only what we provided in this report.

20 Q Generally, but not specific to any specific
21 streams?

22 A No.

23 Q Now, from your experience in studying the
24 19 streams at least, do you have any opinion as to
25 whether the reduced stream flows has resulted in more

1 invasive plant species essentially occupying the
2 space or narrowing those streambeds below the
3 diversions?

4 A No.

5 Q You don't have an opinion or you don't
6 agree?

7 A I don't know.

8 Q Oh, you don't know?

9 A No.

10 Q Do you know any agency that would be
11 appropriate to assess that type of issues?

12 A I would assume Forestry and Wildlife
13 Divisions.

14 Q So, again, if I asked you if streamflow
15 velocity would help to clear or mitigate those
16 invasive species, that would also be a question for
17 Forestry; is that correct?

18 A Yeah.

19 Q How about in your observations, were these
20 streams -- did they have a lot of invasive species in
21 the streambed?

22 A I'm not a plant person, so I couldn't tell
23 you.

24 Q From your observations, were the streams --
25 would you expect that the streams today, as far as

1 the streambed available, would it be narrower than it
2 would be under undiverted conditions?

3 A Would it be narrower? (Witness nods head
4 up and down.) I don't know. It's hard to say.

5 Q Going back to the HSHEP model, is it your
6 understanding from a biological perspective that
7 healthy, thriving habitat units help to support
8 stream animals, and therefore, also help to support
9 gathering practices in the East Maui area?

10 A Yeah, I think healthy streams and healthy
11 -- yeah, do actually provide gathering rights and
12 helps the animals.

13 Q In other words, simply because you observe
14 species in a stream, that doesn't necessarily mean
15 that there's enough for gathering of those species?

16 A I guess. I don't know. I would defer that
17 question to maybe Skippy, who is more familiar with
18 Maui streams, knowing what would be considered enough
19 for gathering purposes.

20 I come from Oahu, which, you know, you
21 would be lucky if you find one hihiwai over there
22 much less or Nopili or Lentipes. So when people want
23 to come in there and actually get scientific
24 collecting permits to collect these animals, I say
25 no, because we don't have the population you have

1 over here on the other islands. So it's a different
2 scenario for each island.

3 Q But based on your experience with these
4 East Maui streams, is it your opinion that the
5 current population levels in the diverted streams are
6 sufficient for someone to go in and be able to take
7 from those populations?

8 A If you're talking about the lower ends of
9 the stream, it may be where there's plenty of water
10 and plenty of the animals, because like, again, like
11 Jim was saying, the animals distribute themselves
12 within the stream. So it depends on the species of
13 animals you're talking about gathering.

14 Now, stuff like Lentipes, 'opae, those guys
15 usually go way up. And when they're coming into the
16 stream on the lower side, they're so small that
17 people aren't going to eat them. Even though the
18 streams are diverted, there is still healthy
19 population of 'opae in the upper areas.

20 Q But based on the model, on the goal of the
21 model is to look at how many habitat units would be
22 restored to healthy levels?

23 A Right.

24 Q And that would support healthier
25 populations of these animals?

1 A Hopefully it would support the population
2 to be there. But, again, like Jim was alluding to
3 too, there's also natural barriers and also manmade
4 barriers that's going to prevent that habitat from
5 being colonized by the animals.

6 Q Right. That goes back to the importance of
7 adjusting physical barriers and passage --

8 A Correct.

9 Q -- as well as entrainment, correct?

10 A Right.

11 Q So and following up on that, even if there
12 is sufficient flows in some of these streams at the
13 lower levels, those barriers and the passage would
14 still need to be addressed for those streams in order
15 to recover more habitat units in those streams?

16 A If the habitat is above the barriers.

17 Q Thank you, very much.

18 HEARINGS OFFICER MIIKE: Ten-minute break.

19 (Recess taken.)

20 CROSS-EXAMINATION

21 BY MR. HALL:

22 Q My name is Isaac Hall, and I'm the attorney
23 for Maui Tomorrow.

24 We've been through this, so I'm not going
25 to go through it a lot. But in the 2009 study it was

1 recommended that 15 of the 16 streams would benefit
2 from restoration; correct?

3 A That's correct.

4 Q And what we have been discussing is that
5 subsequently DAR only recommended nine for
6 restoration, right?

7 A That's correct.

8 Q And in your declaration in paragraph 24 you
9 talk about DAR supporting this theory that I guess
10 talk about nine streams at that point would be the
11 biggest bang for the buck for habitat restoration,
12 right?

13 A That's correct.

14 Q Is the biggest bang for the buck found in
15 any of our State constitution about public trust
16 action?

17 A No.

18 Q Is it found in the regulations anywhere?

19 A No.

20 Q Is it found anywhere in CWRM's regulations?

21 A I don't think so.

22 Q And you say that DAR added that it is more
23 desirable to restore flow to H_{\min} flow rates in fewer
24 streams rather than restoring even lower flows in
25 more streams?

1 A That's correct.

2 Q That's not what we're faced with, is it?

3 A No, we think, you know, that restoring --
4 restoring flow, real little flow in a lot of streams
5 may not make the difference that it would make if you
6 could restore more flow in just a few streams.

7 Q But we can restore the required flow in all
8 of the streams, isn't that a possibility?

9 A That's a possibility. But, again, what I
10 was talking about when I mentioned earlier about
11 sinks and sources, some streams, you know, even
12 though you restore the flow in them, the animals go
13 up there, if it's not a good stream, there is not
14 desirable habitat, they're not going to do their
15 reproduction and everything else, and that stream is
16 going to be a sink.

17 Q I didn't see any streams that got rejected
18 on that basis though, did you?

19 A We didn't look at any, categorize any
20 streams as sources and sinks, because studies are
21 still being done on that.

22 Q In paragraph 25, DAR would support having
23 an interim IFS in a few good streams. That sounds
24 like a military phrase.

25 A I wasn't in the military.

1 Q You were the principal author of the 2015
2 study, correct?

3 A That's correct.

4 Q And in the conclusion it states: "When
5 considering instream flow quantities to support
6 stream animals, it is axiomatic that 100 percent flow
7 restoration to natural undiverted flow would be the
8 best for native stream animals."

9 A That's correct.

10 Q So as a scientist, if your focus was really
11 on what's best for the native stream animals, it
12 would be 100 percent flow restoration of all the
13 streams; correct?

14 A That's correct.

15 Q And what you say after that is: "While
16 this is a possible outcome, it is not generally the
17 goal when setting instream flow standards."

18 And you continue. "From DAR's perspective,
19 the management goal for the 27 East Maui streams was
20 to find the minimum amount of water that supported
21 healthy stream animal populations, while providing
22 maximum water available for other uses."

23 Can you show me anything in DAR's mission,
24 regulations or anywhere elsewhere where it states
25 that your mission is to provide maximum water

1 available for off-stream uses?

2 A Well, I think in our mandate, it's to
3 preserve, conserve and manage the resources. So
4 manage is not necessarily preserve it for posterity,
5 and saying that all the water is reserved for the
6 animals.

7 But then again, it's to manage, and
8 preserve and conserve those animals. But then also
9 make things available for -- like what we have to
10 deal with is fisheries. What Dr. Parham mentioned.
11 And we are dealing with catches and everything like
12 that.

13 So we're not only managing resources, but
14 we are also managing the take of those resources by
15 the people.

16 Q And in that instance, however, you're
17 managing the amount of species that can be taken, so
18 the species is protected; correct?

19 A The species and the quantity of the
20 species, and also have to protect the habitat.

21 Q And in this instance though, you're talking
22 about only reserving the minimum amount of water to
23 support healthy stream animal populations while
24 providing the maximum amount of water for other uses.

25 By other uses we're talking about

1 off-stream uses; correct?

2 A It could be off-stream or instream uses.
3 It could be for taro or any other use, water use.

4 Q But there's nothing in your mission, DAR's
5 mission that creates an obligation to provide the
6 maximum amount of water in a stream for other uses,
7 is there?

8 A No.

9 Q I would like to go back to Mr. Nishimoto's
10 letter, and the eight, I guess, factors that were
11 considered. I'm still baffled by this.

12 Is there any -- you know what I'm talking
13 about? It's on the second page of Mr. Nishimoto's
14 letter. Talks about the eight factors that were
15 taken into consideration.

16 A Uh-huh.

17 Q Is there any chart or any document that
18 shows how these factors were balanced or weighed so
19 that you came out with any particular result?

20 A There's no -- basically, these were stuff
21 that we looked at from the HSHEP model.

22 Q So no one would be able to know, other than
23 the model, which one of these factors you may have
24 given greater consideration to or less consideration
25 to or why?

1 A I think we tried to give all of them equal
2 consideration as all the factors. I don't think we
3 weighed one more than the others. I think the first
4 one that we did weighed the most was, of course, the
5 habitat units, because those are the areas where the
6 animals have to survive.

7 Q Oh, the third factor -- no, not the third
8 factor -- let's see. Oh, you say these factors were
9 considered, and you say the number and difficulty of
10 modifications for diversions were considered.

11 And I'm still -- did you actually look at
12 any? Did anybody present any document to you about
13 showing what it would take to modify any particular
14 diversion?

15 A No, no.

16 Q I don't know, you say you took it into
17 consideration. What is it that you took into
18 consideration?

19 A Well, we looked at the diversions and tried
20 to figure out what could be done for modifications.
21 But we don't have any facts or amounts, dollar amount
22 for how much it would cost, or whether it would
23 actually work.

24 Q Do you have any document that indicates how
25 many, you know -- say Honopou, how many diversions on

1 Honopou would have to be modified?

2 A We have to look at each one of them.

3 Q Do you have any documentation for what you
4 looked at?

5 A Probably have photographs. Other than the
6 photographs. There's site visits.

7 Q You did make a few recommendations. You
8 said in paragraph 24, "DAR is very adamant about the
9 H_{\min} flow rates, which should be 64 percent of natural
10 median baseflow and is necessary to provide enough
11 water in the stream for the animals."

12 Are you still very adamant about that?

13 A We considered it as a starting point. And,
14 again, what we found out from that final report, we
15 couldn't really say that we would stand firm on that.
16 Probably maybe a little bit more water than that.

17 Q More than that, okay.

18 You finish that paragraph saying: "Thus, a
19 minimum flow of 64 percent of natural median baseflow
20 is very important".

21 A To be a minimum.

22 Q So that's a minimum. So the minimum is
23 very important, so you may even want more than that?

24 A It may be considered.

25 Q What would you recommend then that's more

1 than that?

2 A Well, again, she suggested a buffer. You
3 know, maybe that would help. I don't know exactly,
4 because like I said, with our study, we weren't able
5 to determine whether the reproduction was occurring
6 or not.

7 On the monitoring sites, we found animals
8 recruiting on the bottom sites. We didn't find these
9 animals on the upper sites, so something's happening.
10 They're not getting there. Maybe there's not enough
11 water in between to actually provide a wetted
12 streambed.

13 Q Okay. And in paragraphs 31 and 32 you
14 address seasonal flows. And you say in 31: "The
15 application of very low summer flows is not supported
16 as a suitable instream flow approach for restoration
17 of native stream animals."

18 A That's correct.

19 Q And You continue: "The application of the
20 higher flows appeared to have positive benefits to
21 the instream habitat and will likely result in a
22 positive stream animal benefits over time."

23 A That's correct.

24 Q And your final paragraph was: "DAR
25 recommendation that there should be a constant annual

1 flow equal to the winter flow standard year round to
2 make a difference in habitat connectivity and biota."

3 That's DAR's recommendation?

4 A That's what we came up with. That's our
5 findings.

6 Q Okay. And it says: "Additionally
7 monitoring the instream flow release needs to be
8 performed over a longer period of time to document
9 whether or not improvement to the animal population
10 occurs."

11 That's still your recommendation to CWRM?

12 A That's correct.

13 Q I don't have any other questions.

14 MR. ROWE: No questions.

15 CROSS-EXAMINATION

16 BY MR. YIP:

17 Q Good afternoon, Mr. Higashi. I am Elijah
18 Yip, one of the attorneys for HC&S.

19 A Good afternoon.

20 Q I want to talk a little bit about the H
21 figure, like the H_{90} and H_{70} . The H figure correlates
22 to a flow rate, is that right?

23 A That's correct.

24 Q And so if we're saying H_{90} , for example,
25 that's the flow rate that would allow the maintenance

1 of 90 percent of the habitat in a stream; is that
2 right?

3 A I think so.

4 Q And so the number, H figure, that's the
5 percentage of habitat available in the stream?

6 A Uh-huh.

7 Q Is that right?

8 A Yes.

9 Q You have to answer audibly so the court
10 reporter can get it, okay? Thank you.

11 Now, in adopting the H_{90} figure as the H_{\min} ,
12 the basic assumption there is that it takes 90
13 percent of the habitat, the available habitat in the
14 stream, to support essential functions for the stream
15 animals; is that right?

16 A That's correct.

17 Q And is it true that that 90 percent figure,
18 or percent of the habitat, can be achieved from a
19 combination of flow restoration, and/or modifications
20 to dam or diversion structures?

21 A I think the flow, the 90 percent of the
22 flow would be more for the biological functions. The
23 part that you're talking about, modifications to
24 diversions and dams and whatnot, would be more for
25 connectivity purposes.

1 Q Are you saying that is a distinction
2 between life functions and connectivity?

3 A No. We said that they needed to have both
4 of them. But, again, if you don't have the flow, and
5 you have the animals moving up to the diversion and
6 they can't get past the diversion and those animals'
7 habitat is further up, then, you know, it's not going
8 to make any difference. They are not going to be
9 able to utilize habitat.

10 Q I'm trying to understand, because the point
11 of the HSHEP model was to determine the number of
12 habitat units that could be recovered, lost or
13 recovered, due to diversions and barriers; is that
14 right?

15 A That's correct.

16 Q And so if we -- are you saying that the H_{90}
17 would correlate to 90 percent of the habitat units
18 available in that stream?

19 A It should correlate to percent.

20 Q So if it's possible to recover habitat
21 units through elimination of entrainment issues and
22 passage issues, does that get us to the H_{90} ? Does
23 that contribute towards meeting the H_{90} ?

24 A Again, it's the flow, yeah. It's the flow
25 with the modifications.

1 Q At this point does DAR have any scientific
2 basis for moving away from 64 percent of the median
3 baseflow as the H_{\min} ?

4 A Can you repeat the question?

5 Q Sure.

6 At this point, does DAR have any scientific
7 basis for moving away from 64 percent of the base
8 median flow, or median baseflow rather, as the H_{\min}
9 low?

10 A Only the results of this study in 2010 --
11 2015.

12 Q The monitoring study?

13 A Right.

14 Q Which, according to Dr. Parham, was not set
15 up to be a study in the sense of determining
16 statistical significance; correct?

17 A Right.

18 Q And Ms. Kalama discussed with you the
19 possibility of adding a buffer?

20 A That's correct.

21 Q Does DAR have any basis at this point for
22 recommending a buffer or a quantity of a buffer?

23 A No.

24 HEARINGS OFFICER MIIKE: Can I interrupt
25 this for a moment? "Buffer" is a term prohibited by

1 the Supreme Court in setting interim instream flow
2 standards. So you either have to talk about a range
3 that is in the IIFS or something like that. You
4 cannot say use IIFS and want to put a buffer in.
5 It's got to be one or the other.

6 MR. MURAKAMI: If I'm not mistaken though,
7 Dr. Miike, they were talking about a different kind
8 of buffer than what we're talking about.

9 HEARINGS OFFICER MIIKE: No, because they
10 thought what we did -- which we did not in our final
11 version -- they thought we were putting a buffer in
12 as another way of an interim instream flow standard.
13 But they said if you are going to use a buffer, put
14 it in the interim instream flow standards. Don't
15 leave it out.

16 So I'm saying, I understand what you guys
17 are saying, but we can't do that. So you can talk
18 about if in this condition done are satisfied, then
19 the interim instream standard becomes this. But you
20 can't leave it vague.

21 But I understand the discussion going on.
22 I'm just saying, please, don't use the word "buffer,"
23 because I'm not going to use it.

24 MR. MURAKAMI: Just to be clear though, the
25 way we're using it is to accommodate for any specific

1 individual circumstances in streams that may require
2 more restoration so that --

3 HEARINGS OFFICER MIIKE: Oh, correct, but
4 there are ways around that. But what you cannot do
5 is say this is the interim instream flow standards,
6 oh, and by the way we're going to put another -- you
7 can't have a formal category called a "buffer".
8 That's all I'm saying.

9 MR. MURAKAMI: But it can be to recognize
10 differences in the circumstances in streams?

11 HEARINGS OFFICER MIIKE: Oh, yeah, yeah.

12 MR. YIP: I'm just using their terminology.
13 I'm well aware of the Waiahole decision.

14 HEARINGS OFFICER MIIKE: As I said, being
15 an original member of that Commission, we did not use
16 that in the final decision.

17 THE WITNESS: That's one of the things why
18 I think, you know, when you talk about instream flow
19 and IIFS for each one of these streams, you have to
20 do each one individually depending on the
21 circumstances within that watershed.

22 MR. YIP: May I continue the questioning?

23 HEARINGS OFFICER MIIKE: Sure.

24 Q (By Mr. Yip): Mr. Higashi, I just want to
25 go back to the topic we had began with and touched

1 on, which is the H₉₀ and recovery of 90 percent of the
2 habitat.

3 Mr. Parham, or Dr. Parham's testimony this
4 morning was that when you calculate a habitat units
5 lost, if you remember there was a Table 13 in the
6 HSHEP study. Those habitat units lost represent
7 either flow diversion or barrier issues; right? Is
8 that correct?

9 A Yes.

10 Q So --

11 A That's if that's what he said.

12 Q You remember that, right?

13 A Yeah.

14 Q And do you agree with that? As a co-author
15 of the study, do you agree?

16 A Yeah.

17 Q So my question to you is that, if you're
18 saying you need both flow and you also need the
19 modifications to restore habitat units, how can you
20 tell what you're doing to get to the 90 percent?
21 You're saying H₉₀, 90 percent, recovery of 90 percent
22 of habitat in the area, and a habitat unit could be
23 reduced from either/or, or both, you know, how can
24 you tell --

25 A I think that's where Dr. Parham was saying

1 depending on where your diversion is whether you can
2 recover that 90 percent or not. And that's the whole
3 thing is, if the diversion is down on the bottom
4 then, yeah, you need to fix that diversion, because
5 everything past that is not going to be available.

6 Q So would you agree that -- I mean depending
7 on the stream site, would you agree that there are
8 certain streams and sites at certain streams where
9 you could recover a lot of habitat units with less
10 flow, but modification of that diversion?

11 A Less flow, but modification of the
12 diversion?

13 Q Right. I mean is it a trade-off?

14 A In certain areas it's a trade-off. In the
15 middle areas, I would say it would be a trade-off;
16 but in the upper areas, it may not be.

17 Because, again, you know, like you gave an
18 example for 'opae. They don't need that type of
19 connectivity that the fish need. They can actually
20 crawl on land and get over that barrier, because
21 they're above all of the barriers right now. I mean,
22 you know, they're making it up there somehow.

23 So, I mean, it's probably easier if you
24 could modify the diversion so that they can swim up
25 there rather than have to crawl or make it easier for

1 them to actually access it, you know, and not have
2 the diversion completely across the whole stream
3 width.

4 Q Now, the H_{\min} figure, you say that's the
5 flow level needed for suitable conditions for growth,
6 reproduction and recruitment of native stream
7 animals; right?

8 A Uh-huh.

9 Q What are the criteria for determining what
10 constitutes suitable conditions? For example, is the
11 size of the population of the animals one measure of
12 suitable conditions?

13 A I guess, basically, looking at the
14 different sizes, whether you get recruitment, getting
15 smaller sizes, you getting adults that are actually
16 animals that are growing out, you know, that would
17 show growth. Whether they're reproducing or not.

18 Q So if we find that post release you have
19 one more animal that is able to recruit, does that
20 constitute suitable conditions?

21 A Not necessarily.

22 Q Then, I mean, what's the quantification, or
23 is it possible to quantify?

24 A It might be possible to quantify. I don't
25 know what the number, the magic number is, just like,

1 you know. We're trying to come up with what the
2 magic number is for the instream flow. It's
3 something that, you know, you're going to have to
4 look at and determine on how many animals are there,
5 the size of the area that you're talking about.

6 You're talking about fish. It's really
7 hard to actually see the fish reproduce in these
8 areas. There needs to be males and females for one
9 thing. They need a courting area of a certain size.
10 So, I mean, there's a lot of variables that are
11 involved in that. So I can't give you a number
12 offhand, no.

13 Q But are there scientific studies that
14 support or that help define what constitutes suitable
15 conditions?

16 A I think there are studies done on
17 reproduction of the animals and that kind of stuff.

18 Q Do those studies translate into a
19 quantifiable measure of what constitutes suitable
20 conditions?

21 A I think you probably could come up with one
22 suitable.

23 Q You could come up with one, or are there
24 existing studies that DAR relied on in using that
25 standard of suitable conditions?

1 A For the HSHEP, like I said, the criteria
2 for the distribution of the animals, the habitat,
3 where the habitat is, all of that was based on our
4 own observations, over 9,000 animal observations.

5 So, yes, it probably could be done from the
6 information in our database. And that's what was
7 used for designing the model.

8 Q How did DAR arrive at H_{90} as the H_{\min}
9 basically, at the level that supports the suitable
10 conditions?

11 A Well, I guess this was the H_{90} , that was the
12 USGS studies, based on the USGS studies.

13 Q Are you talking about the Gingerich and
14 Wolff study --

15 A Yes, yes.

16 Q -- 2005?

17 A Yes.

18 And basically, you know, that was
19 64 percent of the median baseflow. And that's
20 basically what we were using, close to -- well, we
21 were using -- I want to say we were using probably --
22 yeah, we were using that number for the winter
23 releases. And even then it might have been on the
24 lower side.

25 Q But what is the -- where does the

1 64 percent come from? You're saying it's from the
2 USGS study. But independently, do you know of the
3 basis of why 64 percent of median baseflow?

4 A No. It was 64 percent of the median
5 baseflow, that's all they came out with.

6 Q So other than USGS, you don't know of any
7 other reason to use that figure?

8 A We don't -- yeah, we measure flow, but we
9 don't -- we're not hydrologist. Okay? We just do
10 the biology on it. So based on what Jim got from
11 Gingerich, we put in the model, and we used that.

12 Q But you are a biologist?

13 A Yes.

14 Q So are there any studies that say --

15 A Again, our 9,000 animal observations told
16 us that you need at least two feet of water for the
17 animals to actually carry on their functions, and
18 growth, reproduction and everything else.

19 Now, that animal may be in a pool that's
20 surrounded with -- the deepest part may be two feet.
21 The other areas that you probably find it may be only
22 six inches, twelve inches, three inches of water.
23 But that fact that he needs that depth is -- just
24 because you find him in another area, doesn't mean,
25 you know, that's all you need.

1 Q Okay. But when you're saying two feet of
2 water, that's an absolute number, right? That's not
3 a relative number?

4 A No.

5 Q But the H_{90} is relative, isn't it? It's 90
6 percent, isn't it?

7 A I guess if that's how they measure the
8 quantity of flow, that's what they consider the H_{90}
9 percentage, then I guess that's what it is.

10 Q But the H_{90} isn't a percentage of flow, it's
11 the percentage of the habitat available; isn't it?

12 A I get it as H_{90} was the flow.

13 Q Wait, let's circle back.

14 I thought you testified -- correct me if I
15 am wrong -- that H_{90} correlates to the flow needed to
16 achieve 90 percent of the habitat in the stream. Is
17 that wrong?

18 A I don't know. I'm not a hydrologist.

19 Q Okay. Could you turn to the Appendix D to
20 your declaration, that's the May 17, 2010 letter.

21 On page 2 there's a statement in the letter
22 that says -- this is the first full paragraph, last
23 three sentences:

24 "Thus, it is tempting to assume that H_{70} is
25 only 20 percent less habitat than H_{90} , therefore

1 result in only 20 percent less animals. Similarly,
2 H_{50} is only 20 percent less than H_{70} , and therefore
3 only an additional 20 percent less animals. This
4 conclusion is not supported by the DAR."

5 Do you see that?

6 A Uh-huh.

7 Q Do agree with that statement?

8 A Uh-huh.

9 Q So DAR stands by that statement today?

10 A Yes.

11 Q Based on the logic of that statement, is it
12 also true that the fact that H_{95} is five percent more
13 than H_{90} , doesn't mean that H_{95} would result in five
14 percent more animals than H_{90} ?

15 A I guess you could say that, yeah.

16 Q Do you know what the incremental benefit is
17 between H_{90} and H_{95} ?

18 A No, I don't.

19 Q Or H_{90} and H_{100} ?

20 A No, other than the straight 10 percent or
21 five percent, but as far as that, that's it.

22 Q Percentage would relate to the amount of
23 habitat available, correct?

24 A If that's what H_{90} refers to.

25 Q Did DAR consult with EMI in making

1 diversions -- sorry, modifications to diversion
2 structures for connectivity purposes?

3 A We talked about it.

4 Q Did DAR identify sites where modifications
5 were to be made?

6 A We looked at it with them, and we discussed
7 it.

8 Q Did you make recommendations on which
9 sites --

10 A We talked about, you know, what we thought
11 would be good fixes. But, again, we didn't go back
12 and we didn't monitor. We didn't see if it was
13 working or not. These were ideas that we were
14 throwing out and, you know, EMI actually went ahead
15 and did these modifications.

16 Q And so DAR -- does DAR know whether those
17 modifications have been made? I know you say you
18 didn't go back to test whether they work.

19 A We have gone back when we visited the
20 streams and we seen the modifications.

21 Q Do you know which sites were modified?

22 A Honopou -- let's see what else -- Waiohue.

23 Q It's not meant to be a memory test. I'll
24 throw out a couple, and you can tell me. You
25 mentioned Honopou?

1 A Yeah.

2 Q Honopou at Haiku Ditch, does that ring a
3 bell?

4 A Yeah.

5 Q Honopou at Wailoa Ditch?

6 A I'm not sure.

7 Q If you don't remember, that's fine.

8 A I don't remember.

9 Q Hanawi at Koolau Ditch?

10 A Yeah.

11 Q Waiohue at Koolau Ditch?

12 A I think so.

13 Q East Wailuaiki at Koolau Ditch?

14 A I think so.

15 Q And West Wailuaiki at Koolau Ditch?

16 A Yeah.

17 Q Who designed the modifications for these
18 diversions?

19 A EMI.

20 Q But in consultation with DAR, correct?

21 A Yeah.

22 Q And after the modifications were made, did
23 DAR inspect the modifications?

24 A We looked at them.

25 Q Did DAR, for any of these sites, did it

1 tell EMI you did it wrong, you should redo it?

2 A No. Again, you know, I mean they put the
3 effort to actually do the modifications, however, we
4 don't have the manpower to actually go up there and
5 monitor them to see if they're working or not.

6 Q Were modifications at additional sites
7 considered by DAR?

8 A Not that I recall.

9 Q How did DAR go about choosing the sites for
10 modification?

11 A Well, we were looking at basically the
12 streams they were monitoring for one -- we were
13 monitoring. And the other ones when we went to do a
14 site visit, we looked at the different streams, just
15 looked to see if it would be easier to modify or not
16 without doing major reconstruction of the whole
17 diversion.

18 Q Are there additional sites in the 27
19 streams that you think could be modified to regain
20 additional habitat units?

21 A I don't know. I would have to look at the
22 east diversions.

23 Q But in selecting the sites for
24 modification, with the ones that were made, was that
25 meant to be an exhaustive list?

1 A No.

2 Q If you could look at paragraph 13 of your
3 declaration. In that paragraph you say that:

4 "Native animals that occupy the streams
5 have evolved around the annual variation in flow."

6 Do you see that?

7 A 13?

8 Q I think it's 13. Maybe I'm wrong.

9 A Wait a minute. Okay, I found it.

10 Q How have native animals adapted to annual
11 variations in flow?

12 A Okay, during the winter months we have
13 rain, we have freshets, we have high flows. During
14 the summer months you have the lower flows.

15 Q And how do they adapt to that?

16 A They adapt to that by their spawning,
17 recruitment.

18 Q So they time their life activities based on
19 the various --

20 A Uh-huh. And they basically -- that's what
21 the idea with this summer-winter variation. We were
22 trying to mimic, to start off with something, you
23 have to model a flow for streams. You're going to
24 look at what occurs naturally and see if you can
25 mimic that. If that doesn't work, then you try

1 something else.

2 Q How long does it take for these native
3 stream animals to respond to changes in flow?

4 A I've seen them respond pretty quickly. It
5 depends on where they are. If they're holdup right
6 in the stream and they notice the flow change, they
7 will respond.

8 If they're recruiting to the stream from
9 outside the plankton area, I think it takes longer
10 for them to respond.

11 Q And could we get a sense of range by --
12 when you say "pretty quickly," are you talking days,
13 weeks, months? How long of a range?

14 A I couldn't say. I'm not sure. I mean I've
15 seen them respond, and I'll give you an example.
16 I've seen them respond on most diversions.

17 There was a diversion that was actually
18 plugged up. And it was Papio Stream. And we
19 actually unplugged it. And as soon as we unplugged
20 it, all the animals that were down below started
21 coming up, climbing over the diversion.

22 Q Instantaneously?

23 A Instantaneously. But see, they were in the
24 stream and waiting for this thing to occur, so, you
25 know, if you're talking about if they're not in the

1 stream, then it's going to take them awhile to
2 actually pick up the signal, get into the stream
3 mouth, metamorphosis from the planktonic stage to the
4 stage where they're not swimming around in the mid
5 water column, and then have to go up.

6 Q How long does that stage take,
7 metamorphosis stage?

8 A That one, I don't know, maybe about a week,
9 week -- I don't know, probably Skippy Hau would have
10 a better handle on that.

11 Q Would it take a month? Would it take that
12 long?

13 A I don't know if it would take a month. I
14 mean, when they come in, yeah, they come in as JEAN
15 clear hinana, and they look like slivers of glass and
16 come in and wait around in the lower reaches until
17 they start developing chromatophores and color and
18 that kind of stuff, then move up.

19 Q In paragraph 11 of your declaration you
20 mention the research stations in Hilo where DAR staff
21 created their own stream and that recruitment
22 occurred very rapidly. Do you see that?

23 A Uh-huh.

24 Q Could you tell me a little bit more about
25 the experiment, maybe starting with the purpose of

1 that experiment?

2 A That one was done by Dr. Nishimoto.
3 Basically, this is his comment from -- my testimony
4 was based on what was said at that -- I think it was
5 May 2009 or so -- testimony. And I guess they were
6 working with seeing how quickly the animals were
7 responding, to climb to water, coming in the tank,
8 and, of course, the animals right there, it's going
9 to happen right away.

10 Q Do you know what species were involved in
11 that study?

12 A I think it was an awaous, nakea, but I'm
13 not sure. It might have been nopili or lentipes.

14 Q These would have been native stream
15 animals?

16 A Native stream animals, right, correct, the
17 ones that climb.

18 Q In that experiment, was there variation in
19 flow introduced throughout the experiment?

20 A I don't know. I don't know the details of
21 the experiment, whether it was in flow. I think it
22 also had to do something with water temperature.

23 Q Okay, let's turn to the -- well, I'm going
24 to talk about the monitoring report, but we don't
25 need to turn there right now.

1 In the report there were comments made that
2 perhaps results were skewed by rainfall events, do
3 you recall that?

4 A Environmental, yeah, conditions, yeah.

5 Q Okay, fair.

6 Is there a log somewhere of when, for
7 example, rainfall occurs such that it might skew the
8 results?

9 A It would be nice to get a rain gage up
10 there in these areas. And I know I had talked to
11 CWRM about it, and some of the areas have, some of
12 them don't have. It came into play, and it was
13 something that, yeah, we were looking around to see
14 if we can actually get that information.

15 Q So when you say there were environmental
16 conditions and reported that in the study, that's
17 based more on anecdotal or observational --

18 A Yeah, but it was something that we didn't
19 actually have time to gather or find out if we could,
20 you know, get.

21 Q Sure. How long after a release -- let me
22 restart that question.

23 Was the surveying done consistently after a
24 release? In other words, were you consistent in the
25 number and duration of time after a release before

1 you went out and did surveys?

2 A It was done on a quarterly schedule, so it
3 was done every three months. And once we set the
4 schedule, we made it exactly on the calendar at three
5 months.

6 Q But were the survey dates, were they
7 correlated to the releases?

8 A Some of them correlated before the release
9 and some of them, others after the release.

10 Q Was it always consistent as to how long
11 before -- after release the surveys were done?

12 A Let's see, if it runs three months, and it
13 goes once before, I assume that it would more or less
14 fall into the same time period. I'm trying to think
15 of a year calendar. And then we started, we did
16 January, March, you know, down the line.

17 Q My general question is: How long after
18 release before the surveys were done? Was it a week,
19 a month, two months? Probably not two months,
20 because quarterly, but I'm trying to get a sense of
21 how long after release was made.

22 A The release was in May for the summer
23 releases. And then we did -- I think we did one in
24 June or July. We did one in August, September. And
25 then the next one came around November, the next

1 release.

2 And then, so I would say, you know, two to
3 maybe a month to three months or four months or even
4 within that six-month period, at least two of them
5 were done.

6 Q In observing the conditions or observing
7 the animals in the summer seasons, there was -- you
8 heard Mr. Parham testify about how there was very few
9 or absence of animals in those pools.

10 I would ask you a very layperson question,
11 because I'm just trying to understand how you went
12 about doing that. I guess my first question is: You
13 didn't tag these animals, right? When you observed
14 the animals, you didn't tag it with ID or transmitter
15 or anything like that, right?

16 A No, no.

17 Q So if you didn't see an animal in a pool in
18 the summer months, how can you be sure and reach the
19 conclusion that there's no recruitment or there is no
20 recruitment occurring? I mean, this might sound
21 silly, what the if the animal has gone upstream? How
22 would you know?

23 A You wouldn't know, really. But then
24 recruitment, depending on what stream you're talking
25 about. If you're talking about East Wailuaiki, the

1 mouth is closed. So as far as recruitment, the whole
2 four years we were there, I think it was open -- we
3 documented it being opened only once, but it may have
4 been open more than that. So this is going to
5 determine your recruitment.

6 Q For that stream?

7 A The other streams you could probably see
8 'em within the area, the small ones. And then if you
9 go back again, you know, three months later, you may
10 see some small ones, but then you may see some bigger
11 ones. To me, the telltale of whether they're moving
12 upstream would be to get a middle site or the upper
13 site.

14 Now, at the upper site, in one stream in
15 particular, like Waiohue, we saw the same pair of
16 adult alamo'o up there for the whole study period.
17 And I mean that was all that was up there. There was
18 no new young fish coming up there.

19 So, you know, I mean that may be a bad
20 case, example, but evidently there was not any
21 recruitment going on in that upper area.

22 Q One more question. In the monitoring
23 study, some of the photos show a caption that say
24 "gate closed".

25 A Right, right.

1 Q What does that mean? What gate is that?

2 A That was the flow, the restored flow. It
3 was during the summer months.

4 Q The diversion gate?

5 A Yeah.

6 Q So if it's opened, then that's a release?

7 A Yeah.

8 Q Thank you. I have no further questions.

9 HEARINGS OFFICER MIIKE: Let me just ask --
10 first, just a comment.

11 Back when the Commission was considering
12 these issues, I think you guys, as well as the staff,
13 were put in a bad position. You were being asked to
14 provided policy choices, which was not your role.
15 And I think I said that at the Commission meeting.

16 So that's the kind of questions that you
17 were being asked. I'm glad to see you folks are now
18 adamant that you're scientists, basically scientists.

19 On the issue about the H₉₀, BMQ₆₄, I assume
20 then that there is a threshold that you have to reach
21 before reproductivity and biological functions can
22 occur in a stream?

23 THE WITNESS: That's correct.

24 HEARINGS OFFICER MIIKE: And I would like
25 to get into how do you arrive at threshold, but I

1 guess that was more like the Gingerich types of
2 studies that decided, but I would guess that you hit
3 90 percent because those streams are basically
4 V-shaped, so you can get rapid filling, but then you
5 reach a point where the return of additional habitat
6 comes at the cost of a lot more water, because you're
7 at the top side.

8 So to go from 90 to 100, you might take as
9 much water as it took to get to 90 depending on the
10 stream?

11 THE WITNESS: Right.

12 HEARINGS OFFICER MIIKE: So my guess would
13 be that's the reason.

14 The other thing is that when you talked
15 about seasonal variation with the winter flows and
16 summer flows that the Commission had previously done,
17 that was done at the time where both off-stream uses
18 and instream uses needed the water the most, which is
19 in the summer. And I will say that the Commission
20 chose to favor off-stream uses in that instance.

21 One thing that I'm not sure about is that
22 you have said, again, like I think Mr. Nishimoto had
23 said way back then, that seasonal variation, which is
24 the wet season one and the dry season one mimics
25 natural conditions, because you have variation in

1 streamflow. But that isn't true, is it? Because
2 what we're talking about in these restoration efforts
3 was you had a stream that was basically dry. You put
4 in water for wet season flow and in the summertime
5 just enough or estimating enough for connectivity.
6 But in the natural situation, that's not all the
7 water that's in the stream, correct?

8 Because you're dealing with a stream that
9 is still being diverted, and you're putting amounts
10 of water below the diversion. A natural condition
11 would be leaving the stream as it is and having the
12 natural wet season/dry season variation happen;
13 correct?

14 THE WITNESS: That's correct.

15 HEARINGS OFFICER MIIKE: I just wanted to
16 get that clear.

17 One last thing. I want to remind you
18 people is that as the Na Wai Eha case said, stream
19 life is not the only instream uses that I have to
20 consider. There's a whole list of things. Okay.

21 Any follow-up questions?

22 MS. KALAMA: Just a few. Not very many, I
23 promise.

24

25

-000-

RE CROSS-EXAMINATION

1
2 BY MS. KALAMA:

3 Q Thank you.

4 Earlier you were asked by counsel for HC&S
5 about the stream flows and 64 percent value that has
6 been stated by DAR to be the minimum threshold as
7 Dr. Miike talked about to support full functioning of
8 these stream animals; correct?

9 A That's what we think, yeah.

10 Q And you're not a hydrologist?

11 A I'm not a hydrologist.

12 Q But in working on this report, the 2009
13 report and the 2015 report, you in fact partnered
14 with Dr. Parham, who is a hydrologist as well as a
15 biologist; correct?

16 A Correct.

17 Q So is it your understanding that Dr. Parham
18 considered the USGS numbers for flow and what that
19 meant in terms of his model; is that right?

20 A I think Dr. Parham looked at the USGS
21 figures, and he felt that it wasn't enough for
22 biological functions.

23 Q In terms of the 64 percent of the baseflow,
24 median baseflow?

25 A I don't know whether it's with the

1 64 percent of the baseflow or not, but he just
2 mentioned that to me.

3 Q So when you say he thought that the USGS
4 figures were not enough, you're not quite sure what
5 he was referring to?

6 A No, no.

7 Q But, in fact, the amount of restoration
8 using the model was that 64 percent level?

9 A Yeah.

10 Q And DAR was asked to come up with specific
11 flow levels to recommend for the streams it
12 recommended restoration?

13 A Right, right.

14 Q And earlier when I asked you about this
15 2015 study, do you recall we talked about the
16 conclusion that the results of this work are intended
17 to be used in an interim process, it says for setting
18 the flow standards within an adaptive management
19 framework. Do you remember that?

20 A Yes.

21 Q And we talked about what we've mislabeled
22 as a buffer, I should say, but based on the 2015
23 study, you had answered Mr. Hall that it's possible
24 that the 64 percent level set by USGS may not be
25 sufficient?

1 A Yes.

2 Q And, in fact, USGS did provide additional
3 flow levels at H₉₅, H₁₀₀, as Dr. Miike mentioned. Do
4 you remember that?

5 A Uh-huh.

6 Q So if the 64 -- is it fair to say that DAR
7 supports restoration levels that range at a minimum
8 from 64 percent up to 100 percent?

9 A Yes.

10 Q And so in recommending actual amounts of
11 flow, if DAR's opinion is that that 64 percent may
12 not accomplish, say, the two-foot minimum depth
13 required, would it be fair to say that DAR could
14 recommend flows somewhere above that 64 percent
15 level?

16 A Yes.

17 Q But you would need to consult with others?

18 A Yeah. And then we would also have to look
19 at the data that we have. One of the things that we
20 didn't do for this study, because we were trying to
21 finish it up as soon as possible for this testimony,
22 was when we put together the data for the surveys for
23 the animals, we did note for particularly the
24 crustaceans and the mollusks on the lower side of the
25 streams, the 'opae that lives in the estuary, as well

1 as the hihiwai, and hahawai, we did recognize, and we
2 noted down whether the animals were rabid or bearing
3 eggs or had egg capsules on their shells, that kind
4 of stuff, because it's easy to see, it's easy to
5 observe.

6 When we went up to look at the fish, the
7 fish was a different story. Because basically we
8 were not seeing the fish doing courtship up there
9 when we go do our survey. We're not seeing the
10 gravid females.

11 And like I said, on Waiohue Stream, we just
12 saw two, two pairs. The one pair, and it was adults,
13 but they weren't courting or anything.

14 So, again, if we want to go back, and let's
15 say, if we want to redo this again, I think that's
16 something else that we need to look at to incorporate
17 in the monitoring is whether this thing is actually
18 occurring, the reproduction part of it, besides the
19 growth.

20 But again, you know, I think because we
21 only had those two sites, we don't know if the
22 animals are getting up to the upper site.

23 Q And you mentioned earlier that there is no
24 longer funding for your freshwater streams program?

25 A No.

1 Q Is that for the whole program?

2 A For the whole program.

3 Q When did that happen?

4 A 2013, just before Bob retired. They cut
5 the DJ funding for the stream program, and it just --
6 there is no Federal funding now.

7 Q DJ, what are you referring to?

8 A Ding le-Johnson, which is a Federal Fish
9 and Wildlife program that uses taxes on fishing
10 equipment, fishing gear, and all that stuff to
11 support states in providing funding for recreational
12 fisheries.

13 So it's three-to-one match with the Feds.
14 So the State puts in \$1, and we get \$3 from the
15 Federal Government.

16 But when he retired, you know, there was
17 talk in our Division that basically native fish
18 didn't come into recreational fisheries, so they
19 discontinued the program.

20 Q So that state funding is no longer there
21 either, is that what you're saying?

22 A Yeah.

23 Q So when you say that the IIFS's that are
24 set need monitoring, DAR would not have the
25 capability to do that?

1 A No.

2 Q Is that what you're saying?

3 A Yes.

4 Q Who else would have the expertise to do so?

5 A Well, within the state, I guess you would
6 have to get a private consultant.

7 HEARINGS OFFICER MIIKE: Any followup?

8 Okay, we'll end the session. Thank you.

9 (The proceedings recessed at 4:08 p.m.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE.

1
2 STATE OF HAWAII)
3) SS.
4 COUNTY OF HONOLULU)

5 I, JEAN MARIE McMANUS, do hereby certify:

6 That on March 16, 2015, at 9:24 a.m., the
7 proceedings contained herein was taken down by me in
8 machine shorthand and was thereafter reduced to
9 typewriting under my supervision; that the foregoing
10 represents, to the best of my ability, a true and
11 correct copy of the proceedings had in the foregoing
12 matter.

13 I further certify that I am not of counsel for
14 any of the parties hereto, nor in any way interested
15 in the outcome of the cause named in this caption.

16 Dated this 16th day of March, 2015, in
17 Honolulu, Hawaii.

18
19
20 _____
21 JEAN MARIE McMANUS, CSR #156
22
23
24
25

Civil No. 19-1-0019-01 (JPC)

Defendant A&B/EMI's Exhibit AB-110

FOR IDENTIFICATION _____

RECEIVED IN EVIDENCE _____

CLERK _____