

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

IN THE CIRCUIT COURT OF THE FIRST CIRCUIT  
STATE OF HAWAII

SIERRA CLUB,	)	CIVIL NO. 19-1-0019-01 JPC
	)	(Environmental Court)
Plaintiff,	)	
	)	
vs.	)	
	)	
BOARD OF LAND AND NATURAL	)	
RESOURCES, DEPARTMENT OF LAND	)	
AND NATURAL RESOURCES,	)	
SUZANNE CASE in her official	)	
capacity as Chairperson of the	)	
Board of Land and Natural	)	
Resources, ALEXANDER AND	)	
BALDWIN, INC., and EAST MAUI	)	
IRRIGATION, LLC	)	
	)	
Defendants.	)	

---

DEPOSITION OF GLENN HIGASHI

Taken on behalf of Plaintiff at 1001 Bishop Street, Suite  
798, Honolulu, Hawaii on Tuesday, March 3, 2020 commencing  
at 8:31 a.m. pursuant to notice.

Reported by:  
Priscilla Gonzaga, CSR #127  
State of Hawaii

1 APPEARANCES:

2 For Plaintiff:

3 DAVID KIMO FRANKEL, ESQ.  
4 1638-A Mikahala Way  
5 Honolulu, Hawaii 96816

6

7

8 For Defendants Board of Land and Natural Resources,  
9 Department of Land and Natural Resources and Suzanne  
10 Case:

11

12 AMANDA WESTON, ESQ.  
13 Deputy Attorney General  
14 Department of the Attorney General  
15 Tort Litigation Division  
16 465 South King Street  
17 Honolulu, Hawaii 96813

18

19

20 For Defendants Alexander and Baldwin, Inc. and East  
21 Maui Irrigation, LLC:

22

23 MALLORY MARTIN, ESQ.  
24 Cades Schutte LLP  
25 1000 Bishop Street, Suite 1200  
Honolulu, Hawaii 96813

26

27

28

29

30

31

32

33

34

I N D E X

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

EXAMINATION BY:	PAGE
MR. FRANKEL	4
EXHIBITS FOR IDENTIFICATION:	
EXHIBIT 1 Information From Division of Aquatic Resources Website	7
EXHIBIT 2 Information From Division of Aquatic Resources Website	11
EXHIBIT 3 Information From Division of Aquatic Resources Website	22
EXHIBIT 4 DLNR Documents	24
EXHIBIT 5 DLNR Document	30
EXHIBIT 6 Report on Kolea Stream	36

1 (Reporter's disclosure is available.)

2 GLENN HIGASHI,

3 called as a witness, having been first duly sworn,

4 was examined and testified as follows:

5 EXAMINATION

6 BY MR. FRANKEL:

7 Q Can you state your name for the record?

8 A Glenn Higashi.

9 Q If my question is not clear, will you ask me  
10 to explain myself?

11 A Yes.

12 Q Do you understand that your testimony is  
13 being made under oath?

14 A Yes.

15 Q You understand that the answers you give  
16 today can be used in court, particularly if you  
17 answer differently in court than you do today?

18 A Yes.

19 Q Okay. Do you understand that you may  
20 request a review of the completed transcript of this  
21 deposition?

22 A Yes.

23 Q Would you like to review the transcript and  
24 offer corrections?

25 A Yes.

1 Q Okay. What did you do to prepare for  
2 today's deposition?

3 A Oh, I read over all the correspondence and  
4 everything else that had related to this case.

5 Q All right. Great.

6 Tell me -- what was your major in college?

7 A Zoology.

8 Q Where?

9 A University of Hawaii.

10 Q And do you have a master's degree?

11 A No.

12 Q Okay. So no -- no degrees after your BA --  
13 or BS in zoology?

14 A No.

15 Q Okay. You've been an aquatic biologist at  
16 DLNR for the past 34, 35 years?

17 A Thirty-five years.

18 Q Thirty-five years.

19 What are your responsibilities as an aquatic  
20 biologist?

21 A It's to manage resources, to do field work.  
22 Basically, it's whatever is mandated by our division.

23 Q You spend a significant time in streams or  
24 next to streams, looking at streams?

25 A Yes. Yes, I do.

1 Q Okay. When was the last time you visited  
2 any of the streams in East Maui?

3 A Last time was -- I think, was last year.

4 Q 2019?

5 A Yeah.

6 Q Would you say summer, spring, fall?

7 A I would say in the -- in the fall.

8 Q And how much time would you say -- would you  
9 estimate you spent studying the East Maui streams in  
10 the past 35 years?

11 A In the past 35 years, let's see, 2008. I'd  
12 say maybe 10 to 15 years roughly.

13 Q And would you say you have visited all the  
14 streams in East Maui or just a portion of them?

15 A We visited about 15 of the streams.

16 Q So you're not familiar with some of the  
17 others that you didn't visit?

18 A We did visit it but we didn't survey them.  
19 So, you know -- I mean probably we visited them all  
20 but we didn't do any surveys in all the streams so.

21 Q All right. Great.

22 Can you tell me why the Division of Aquatic  
23 Resources believes that streams in their natural  
24 condition are important?

25 A Well, they're important because they provide

1 habitat for our native species. We have eight native  
2 species that live in the streams that provide --  
3 well, they provide -- they were used before for food,  
4 you know. And then now I know they're not used as  
5 much for food.

6 There's also the part where they provide  
7 nutrients and prey for other reef fish that live in  
8 the estuaries. So they're kind of in a food chain  
9 themselves, you know. And they have a amphidromous  
10 life cycle which attach to the ocean. And they're  
11 unique because they're all endemic. They're not  
12 found anywhere else in the world.

13 Q And when you talk about those things, we can  
14 include in that Oopu and Opae?

15 A That's what I was talking about, yes.

16 Q Okay. And I don't know if you've said this  
17 directly but they have some cultural importance as  
18 well?

19 A Yes.

20 Q Okay. I want to present you an exhibit.  
21 We'll call this Exhibit 1. It might be a slightly  
22 different format than you're used to 'cause it's on  
23 paper but are you familiar with the Division of  
24 Aquatic Resources' website?

25 A Yes.

1 Q And does this resemble what is featured on  
2 the Division of Aquatic Resources' website?

3 A I think so.

4 Q And you don't have any reason to disagree  
5 with the description of the Division of Aquatic  
6 Resources summary about the cultural importance of  
7 streams -- of streams?

8 A No.

9 Q All right. Great.

10 Can you explain to -- I'm not the most  
11 sophisticated lawyer, I'm not a biologist, what a  
12 habitat unit is?

13 A Habitat unit is a unit that we define that  
14 an animal lives in. And it's usually ten -- ten  
15 meters square.

16 Q And how do you -- if you're in a stream, how  
17 do you determine what the habitat unit is?

18 A You basically look at the habitat itself.  
19 And by the -- whether it's a referral run or pool, you  
20 can determine what kind of habitat, what kind of  
21 animal would be in that habitat. And they don't stay  
22 just in one of those habitats. They kind of move  
23 around so you have a larger area. And then you also  
24 have other species that inhabit the same habitat.

25 Q Sure. Do you -- if it's -- how to say this?



1 If -- are there some habitat units that have much  
2 more potential to support native species than other  
3 habitat units?

4 A Yes.

5 Q So habitat units aren't necessarily  
6 equivalent?

7 A No.

8 Q Okay. So if there's a big terminal  
9 waterfall below a habitat unit, that could affect its  
10 quality, right?

11 A When you say a big -- you talking about a  
12 pool? Are you talking about the terminal waterfall  
13 or --

14 Q I'm -- okay. I'm talking about the area  
15 above the waterfall.

16 A Okay, okay.

17 Q It's a terminal waterfall. Is -- is the  
18 fact that there's a terminal waterfall, does that  
19 affect, say, the size of the habitat unit you -- you  
20 determine?

21 A No.

22 Q Okay. So a habitat unit directly above a  
23 terminal waterfall and one that's not by terminal  
24 waterfall, are going to be the same size?

25 A Relatively.

1 Q But they may have much different  
2 abundance --

3 A They'll have different species, definitely,  
4 yes.

5 Q Yeah, okay. All right.

6 Is more water and better connectivity in  
7 streams a good thing for native habitat restoration?

8 A Yes. It's always a good thing.

9 Q Okay. And would you agree that stream  
10 diversions and insufficient instream flows are key  
11 threats to Oopu and Opae?

12 A They're threats, yes.

13 Q Do Oopu and Opae return to the same streams  
14 from whence they came?

15 A No, they don't.

16 Q Are you familiar with the Hawaii Stream  
17 Atlas?

18 A Yes.

19 Q How is it put together?

20 A I was one of the authors, co-author. And  
21 basically, it was put together using our data that we  
22 collected in surveys. And it was also used with gray  
23 references of any papers that were produced in stream  
24 systems.

25 Q So it's not original -- there was no outside

1 research done to compile -- it was a compilation of  
2 other things that have been done. It wasn't --

3 A It was a compilation of other things that  
4 have been done. But it was also a way for us to get  
5 our data when we do surveys out to the public.  
6 Because if we don't do that, it's going to sit in  
7 shoeboxes, you know, in our division and it's not  
8 going to be, you know, shared with the public. So  
9 basically, the atlas was produced to, you know, share  
10 or share our data -- our latest data with the public  
11 and any other data that was out there.

12 Q Okay. Let me have this marked as Exhibit 2.  
13 Does this look familiar from the Division of  
14 Aquatic Resources' website?

15 A Uh-hum.

16 Q And is there . . . the articles in reference  
17 as cited are ones division felt comfortable enough  
18 referring the members of the public to?

19 A Yes.

20 Q Okay. And that includes work prepared by  
21 Mike Kido? It's on page 8.

22 A Uh-hum.

23 Q Just --

24 A Yes.

25 Q Great. Thanks. All right.

1           How much water has the Division of Aquatic  
2 Resources determined the minimum amount of water  
3 needed to remain in East Maui streams?

4           A     We're saying that it was 64 percent of the  
5 base flow, yeah.

6           Q     Now, is there a significant difference in  
7 terms of what you would expect in the stream ecology  
8 between a stream with 64 percent base flow and full  
9 and complete restoration?

10          A     I think because of the flashiness of the  
11 streams, that the streams don't always have full  
12 restoration flows. And I mean during the summer  
13 periods, you have -- you don't have as much because  
14 you don't have freshettes which also provide --  
15 augment the stream itself.

16                   Spraying the water is usually the basal  
17 flow. And this occurs year round and basically  
18 provides the stream with water. But it's augmented  
19 again by rain. And that's when you have periods of  
20 freshettes and these are important.

21          Q     Sure. But I want to focus on the difference  
22 between a stream that is -- has 64 percent of base  
23 flow plus freshettes versus a stream that's not  
24 diverted at all. Is there a significant  
25 difference -- would you expect a significant

1 difference in stream ecology?

2 A I wouldn't expect that much of a difference  
3 if the diversions were, you know, allowed passage and  
4 didn't entrain.

5 Q Okay. Can you explain -- again, this is for  
6 unsophisticated lawyer. So -- well, explain to me  
7 how the 64 percent figure was derived. Did you  
8 understand my question?

9 A Uh-hum. Basically that was -- that's a  
10 basal flow that's already in the streams.

11 Q Well, that's medium base flows already -- so  
12 this is 64 percent of that?

13 A Yes.

14 Q So how does -- where does the -- how does  
15 the 64 percent figure get determined that that's the  
16 minimum that's needed?

17 A We were looking -- we were looking at flows  
18 with what was provided by USDS and CWRM. And  
19 basically, with our expertise and our knowledge, we  
20 visited a lot of streams, a lot of streams that  
21 aren't even diverted. And we've, you know, worked  
22 the habitat model and found out that habitat was  
23 provided at a 60 percent base flow --

24 Q And when you say habitat -- sorry?

25 A Enough habitat for the animals to reproduce,

1 to grow and everything else.

2 Q So can -- I don't know if you can -- can you  
3 explain methodologically, you know, how does this  
4 64 percent figure get derived as opposed to say  
5 70 percent, 80 percent, 50 percent? I mean can you  
6 sort of walk me through how that number came about?

7 A Yeah. It was based on a model and our  
8 observations of the animals in the stream. And it  
9 was calculated through graphs and everything else  
10 about what the flow was at the time that we did the  
11 surveys and then what was necessary for the animals  
12 to survive.

13 Q Is it fair to say that figure is limited to  
14 East Maui and not transferable to other streams  
15 across the state or do you think it's translatable to  
16 any stream?

17 A I think it's translatable to any stream.

18 Q I see. Okay.

19 Any particular assumptions that were made  
20 with that model to help -- you know, all models are  
21 underlying assumptions --

22 A Yeah.

23 Q So what are some of the assumptions in that?

24 A Let's see. A lot of the assumptions were  
25 . . . I got to think about this. Okay. The

1 assumptions were that basically, the stream would  
2 be -- we were looking at undiverted streams, of  
3 course, you know. And we're looking at flows,  
4 measuring flows and animals' behavior and activity  
5 within -- within a undiverted stream. And this is  
6 kind of assuming that this is what's necessary even  
7 on a diverted stream in the sense that, you know,  
8 these animals are reproducing, they're growing and  
9 they're migrating in this other stream with  
10 64 percent versus, you know, a diverted stream. So  
11 we felt that for minimal purposes, that was the  
12 sufficient amount for them to actually reproduce,  
13 grow and develop.

14 Q I have to say I don't understand. Because  
15 if you're looking at an undiverted stream, it's not  
16 at 64 percent medium base flow. It's -- you know,  
17 it's --

18 A Yeah, but you're comparing it -- you're  
19 comparing it with a diverted stream so there's going  
20 to be a comparison of course.

21 Q Sure.

22 A You know.

23 Q So how do you -- how do you find out  
24 whether -- so are you -- you're saying that a stream  
25 that's diverted so that there's only 64 percent of

1 base flow, you're going to find as many fish or --  
2 I'm sorry, native aquatic species as you would one  
3 that's undiverted as long as -- one of the  
4 assumptions, as long as the diversion structures  
5 themselves don't impede migration?

6 A True.

7 Q Is there any -- but so is that what you're  
8 saying though, those two are equivalent in terms of  
9 species?

10 A It also depends on habitat, whether there's  
11 habitat available for the animals. 'Cause if there's  
12 no habitat, even though you have a, let's say, a  
13 hundred percent flowing stream, if there's no  
14 habitat, there's not going to be any animals.

15 Q Yeah. Good.

16 A So, you know.

17 Q Any other assumptions or caveats that helped  
18 you, you know, in coming up with a 64 percent figure?

19 A Can I look at my --

20 Q I have no problem with that.

21 A Okay. One of the other things that we  
22 actually did was we compared the data and tested the  
23 model with real live data.

24 Q Yeah.

25 A So, you know, there's a tweaking of the



1 model.

2 Q Yeah.

3 A And verification.

4 Q Okay. So, you know -- I'll let you keep  
5 looking at that if you need to.

6 A Okay.

7 Q All right. So I don't know if you know this  
8 but the Water Commission has ordered the full  
9 restoration of West Wailua Iki and 64 percent of East  
10 Wailua Iki. And so based on what you've said, is it  
11 your expectation or hypothesis or that in a year, two  
12 years, five years, ten years, you really will see no  
13 difference in the stream ecology between those two  
14 streams? Is that a fair description of the  
15 hypothesis you would have?

16 A Well, if you're going to restore a hundred  
17 percent flow, of course -- of course that stream  
18 supposedly should be better. If it's not, then  
19 there's something else going on in the stream.

20 Q Okay. So when you say it should be better,  
21 how much better would you expect the hundred percent  
22 free flowing stream versus a stream that would have a  
23 64 percent base flow?

24 A That would be a natural stream without --  
25 without any diversion.

1 Q Okay. How much more -- can you quantify the  
2 difference in terms of how much better the stream  
3 ecology or how many more species or how much more  
4 abundance there would be?

5 A It would depend on the stream 'cause not all  
6 streams are alike. So, you know, whatever habitat is  
7 there and available, if you put in more water, those  
8 habitats will be utilized by the animals coming  
9 upstream again.

10 Q So, for example, a comparable West Wailua  
11 Iki and East Wailua Iki which are pretty close to  
12 each other --

13 A Uh-hum.

14 Q -- would you expect a significant difference  
15 in the stream ecology between the fully restored West  
16 Wailua Iki and the 64 percent base flow East Wailua  
17 Iki?

18 A No.

19 Q Okay? You wouldn't -- so you think it might  
20 be better but not significantly better?

21 A Well, the thing is you have to look at the  
22 individual stream. And East Wailua Iki is blocked by  
23 cobble berm which prevents the migration of animals  
24 upstream. Only when you have big freshettes,  
25 nothing breaks open, do you have recruitment. And

1 also you have the animals, you know, reproducing and  
2 sending out the progeny. But because it's  
3 continuously blocked most of the time, it's -- it's  
4 hard to say, you know, that they're going to be  
5 exactly -- they're going to be exactly alike. Of  
6 course if you have an open stream, the fish can  
7 migrate up any time, but usually during the wet  
8 seasons.

9 Q Okay. So like -- let's not compare those  
10 two streams then. But, in general, is there a  
11 significant difference in the stream ecology between  
12 a stream that is -- has 64 percent of its base flow  
13 plus some freshettes versus one that's fully  
14 restored?

15 A I think it would be -- you know, I think  
16 they'd be pretty -- pretty much equivalent. I mean  
17 it's hard to quantify it exactly. I mean, you know.  
18 I mean you'd have to go there and you'd have to  
19 actually map the stream, find out the habitat and  
20 then determine from that, you know, what's going on.

21 Q Okay. What about is there a significant  
22 difference in habitat quality in a stream with  
23 64 percent base flow and one that just has 20 percent  
24 base flow?

25 A Oh, yeah, they're substantial.

1 Q Can you be more -- can you describe how it  
2 would --

3 A Well, you don't have enough water in the  
4 stream for animals to actually grow, to reproduce,  
5 you know, to spawn. So I mean it's not enough water  
6 that, you know, the animals can live their normal  
7 life. You may be able to sustain the animals but  
8 it's not necessarily getting to, you know, their full  
9 functional cycles of productivity and whatnot.

10 Q And I think there's some reference in some  
11 of your correspondence. But it's not a linear  
12 relationship, 20 percent --

13 A Yes, it's not. It's not. You think it  
14 would be but it's not.

15 Q Okay. Now, is there a significant  
16 difference in habitat quality in a stream with  
17 20 percent base flow and one with no base flow where  
18 all the base flow can be taken and diverted?

19 A Well, then you have a dry streambed, yeah.  
20 So you don't have any animals.

21 Q Does the removal of more than half the water  
22 from a -- from a fresh stream in East Maui harm  
23 native aquatic species?

24 A Yeah, I would say it would probably would  
25 affect the flow, affect the animals' livelihood.

1 Q And certainly taking all the base flow would  
2 have an adverse effect on native species?

3 A Well, you would have dry streambed, yeah.

4 Q Would you say if you take all the water from  
5 a stream, 60 percent of the time, that it would have  
6 profound ecological consequence?

7 A Depends on when that 60 percent of the time  
8 was.

9 Q Well, it's base flow.

10 A Yeah.

11 Q So there's still going to be freshettes that  
12 come down. So doesn't really depend -- 'cause base  
13 flow can be taken -- okay, let me rephrase it.

14 You take all the base flow --

15 A Uh-hum.

16 Q -- plus some of the freshettes so that the  
17 stream below the diversion, there's essentially no  
18 water flowing below the diversion 60 percent of the  
19 year. Is that going to have profound ecological  
20 consequences on the ecology of the stream?

21 A It may. But I've seen intermittent streams  
22 on other islands that actually have a full complement  
23 of animals above where the water goes into the  
24 ground. So basically, you have a dry streambed from  
25 one section of the stream all the way down to the

1 ocean. Now, those streams still maintain themselves  
2 with a population that they have whenever there is  
3 freshettes.

4 Q Yeah.

5 A So again, you know, there -- they're  
6 intermittent. Their basal flow goes underground and  
7 comes out by the ocean. So there's no surface water  
8 for the animals to get above.

9 Q Sure. So recognizing that there are  
10 intermittent streams and there are -- can be healthy,  
11 would you agree that, in general, maintaining the  
12 mauka makai lifeline to ensure a healthy -- is  
13 necessary to ensure healthy populations of native  
14 stream flora and fauna?

15 A Yes.

16 Q Okay. Why don't we give you this. I guess  
17 this is number 3.

18 Do you recognize this as coming from the  
19 Division of Aquatic Resources' website?

20 A Uh-hum.

21 Q All right. All right. Great. Let's move  
22 on from that.

23 In October 2019, so just a few months ago,  
24 do you know what information the Board of Land and  
25 Natural Resources had regarding whether there was

1 enough water flowing into each stream in East Maui to  
2 ensure that populations of native aquatic organisms  
3 within had not been adversely affected?

4 A They usually set the standards so I assume  
5 that they would know, yeah.

6 Q But you don't know that for a fact? You  
7 just assume it?

8 A (Moves head up and down.)

9 Q Do you know does the Division of Aquatic  
10 Resource -- I know that the Division of Aquatic  
11 Resource provides information to the Water  
12 Commission.

13 A Yes.

14 Q But does the Division of Aquatic Resources  
15 provide information directly to the Board when it  
16 comes to the re-issuance of the revocable permits for  
17 the 33,000 acres of land in East Maui?

18 A We don't issue anything directly to the  
19 Board. It goes through Water Commission staff.

20 Q Okay. Does the Water Commission follow all  
21 the Division of Aquatic Resources' recommendations?

22 A I think they follow -- yeah, most of them  
23 that we've given them.

24 Q Well . . . let's . . . this number 4? Mark  
25 this as number 4. How helpful is that?

1           Are you familiar with these comments?

2           A     No, I never saw them before.

3           Q     Okay. Do you know if the Water Commission  
4 followed recommendations that are in this?

5           A     I don't know.

6           Q     Okay. Would an increase in the amount of  
7 water being diverted out of East Maui than has been  
8 occurring for the past three years or so, would an  
9 increase adversely affect native aquatic species?

10          A     I think it would.

11          Q     Okay. And would increasing the amount of  
12 water diverted out of East Maui and has been current  
13 for the past three years or so adversely affect  
14 native stream habitat?

15          A     You wouldn't have stream habitat if they did  
16 that.

17          Q     Well, I didn't say how much they're going to  
18 increase.

19          A     Yeah, okay. But, yeah, it would affect the  
20 habitat.

21          Q     Okay. And how about ecosystem health?

22          A     Yes.

23          Q     Okay. I'll spend a few minutes talking  
24 about the streams that the Water Commission ordered  
25 to be restored. Of those ten streams that the Water



1 Commission ordered to be fully restored, are there  
2 still diversion structures remaining on any of them  
3 that interfere or harm native aquatic species?

4 A There probably are.

5 Q But do you know where? Can you identify any  
6 one?

7 A No, no. I don't know exactly where.

8 Q So why do you say they probably are?

9 A 'Cause they haven't -- they haven't taken  
10 out any of the diversions yet. They haven't done  
11 anything with diversions.

12 Q When did the Division of Aquatic Resources  
13 last check on the status of the diversions in those  
14 ten streams?

15 A You'd probably have to ask Skippy.

16 Q Okay. Do you know if that was done before  
17 the Board made a decision in October 2019 regarding  
18 the revocable permits?

19 A No.

20 Q Okay. So you don't know whether the fully  
21 restored streams have been fully restored?

22 A They said they were restored. And we can  
23 only go on what they tell us, you know. I mean if  
24 they say they're restored, we don't have any way of  
25 checking unless you look at the gauges.

1 Q So . . .

2 A I mean supposedly they closed the ditches  
3 and the diversions that the water continues  
4 downstream now so. I mean that's -- that's how they  
5 restore.

6 Q But there's still -- you believe there's  
7 still diversion structures that may interfere or harm  
8 native aquatic species in those streams?

9 A I think so. I think they're probably --  
10 yeah, diversion structures are probably still in the  
11 stream. I mean they're not going to be taken out  
12 that easily.

13 Q Uh-hum. Do you know if DLNR has monitored  
14 those ten streams ordered to be restored by the Water  
15 Commission to determine if native stream life can  
16 effectively migrate and reproduce where the dam  
17 structures or other diversion structures in place?

18 A Monitor in the sense that regular --  
19 regularly going up there and looking?

20 Q You know what, let me take that back. How  
21 about have they ever inspected -- so less continuous.  
22 But have they inspected the ten streams that have  
23 been ordered to be fully restored to determine if  
24 native stream life can effectively migrate and  
25 reproduce with the diversion structures that are

1 there now?

2 A You'd have to ask Skippy.

3 Q Okay. Are you familiar with Waiohue Stream?

4 A Waiohue, yeah.

5 Q You know how there's that beautiful pool  
6 right above the ditch? You know what I'm talking  
7 about?

8 A (Moves head up and down.)

9 Q So what I'm asking you when was the last  
10 time you were there?

11 A Well, again, probably last October.

12 Q Okay. So you're familiar that they  
13 basically elevated or blocked the gate where the  
14 water used to go to the ditch. And so now it goes  
15 back to where it used to naturally flow?

16 A (Moves head up and down.)

17 Q If that gate were to collapse in 5 years or  
18 10 years or 50 years, the water would be diverted  
19 back into the Koolau Ditch, right?

20 A Probably.

21 Q So do you think -- would you describe the  
22 restoration there as permanent if given the nature of  
23 that gate there?

24 A I wouldn't say it was permanent.

25 Q Yeah.

1           A       Our recommendation for that -- that pool  
2 over there was to notch, take out the right side of  
3 the concrete wall.

4           Q       Right as you're looking upstream?

5           A       Yeah.

6           Q       Uh-huh.

7           A       So we take out the right side so you'd have  
8 a natural stream flow.

9           Q       Is that -- did the Water Commission adopt  
10 that recommendation?

11          A       I don't think they did. I know the  
12 companies had tried to -- HC&S had tried to put on a  
13 water -- a hose which was suggested by us that, you  
14 know, maybe the animals can get up over there  
15 through -- through the water that was trickling over  
16 the wall.

17          Q       Yeah.

18          A       But I think -- yeah. You want a more  
19 definite -- definite fix, you would have to take out  
20 that right side of the wall.

21          Q       Okay. Do you -- have you made that  
22 recommendation?

23          A       That recommendation was made on the report  
24 cards that we had given to the Water Commission a  
25 while back. And I think -- yeah, I think it's in

1 the -- right here, Waiohue. Talking about the  
2 release but okay, maybe not this section. But I know  
3 it was mentioned before that they needed to -- and it  
4 might have been in one of the letters that they  
5 needed to take out the right side.

6 Q And again, that went to Water Commission, to  
7 the Board of Land and Natural Resources, that letter?

8 A Yes, yes.

9 Q Okay. Great.

10 Okay. I want to talk about some specific  
11 streams. And I want to talk first about Puohokamo  
12 Stream. You know what stream I'm talking about?

13 A Okay.

14 MR. FRANKEL: And for the court reporter,  
15 I'll spell it, P-u-o-h-o-k-a-m-o-a.

16 Q (By Mr. Frankel) Now, in 2010, the Division  
17 of Aquatic Resources ranked Puohokamo Stream as the  
18 third highest priority stream for restoration. Does  
19 that sound right?

20 A Okay.

21 Q Why don't I give you this. We'll make  
22 this --

23 A Well, it was -- it was -- yeah, it was  
24 basically the third, the third in the group of that  
25 communications with the Water Commission Members.

1 Q Right. Let me -- I think it be easier for  
2 the other attorneys if I hand this out. So let's  
3 make this Exhibit 5. And . . . I just to make  
4 sure -- can you look at Exhibit 5 that's there and  
5 see if that's the same thing -- is that the same  
6 thing you're looking at or are you looking at the  
7 prior -- the report that --

8 A I was looking at a prior.

9 Q Okay.

10 A Yeah.

11 Q So I recognize that things changed around.  
12 But by April 2010, the Division of Aquatic Resources  
13 had recommended restoration work to Puuhokamoa has  
14 the priority rank 3, is that right? If we look at --

15 A Yeah, yeah.

16 Q Okay. Now, despite the Division of Aquatic  
17 Resources recommendation, the Water Commission only  
18 restored 20 percent of the base flow to the stream,  
19 right?

20 A Uh-hum.

21 Q That's a yes?

22 A Yes.

23 Q And you folks felt it would be relatively  
24 easy to allow water to pass through the Manuel Luis  
25 Ditch, right? If you look at . . . the page -- were

1 you looking at -- yeah, yeah, yeah.

2 A Yeah, this one.

3 Q And you -- is that -- well, why don't you  
4 take a minute to read through that.

5 So you got -- well, let me take a step back.  
6 You helped -- you did some of the field work and some  
7 of the investigative work that created the report  
8 that led to this letter and recommendations, correct?

9 A Uh-hum.

10 Q And the division believed that it would be  
11 relatively easy to allow water to pass through the  
12 Manuel Luis Ditch, is that right?

13 A Yes.

14 Q And do you know -- I don't know if this is  
15 what -- if you know this or not. But do you know if  
16 the Manuel Luis Ditch provides water to the county or  
17 is that more the Koolau and the Wailoa Ditches?

18 A We don't know who the ditches provide water  
19 to.

20 Q Okay. Okay. Now, did -- do you know did  
21 the Board of Land and Natural Resources require any  
22 modification of any diversion structures on  
23 Puohokamoa Stream?

24 A Not that I know of.

25 MS. WESTON: Do you mean CWRM?

1           MR. FRANKEL: No, I meant the Board. We've  
2 already established they're 20 percent by CWRM. But  
3 I'm asking about the Board. But thank you, Amanda.

4           Q     (By Mr. Frankel) So what is the impact on  
5 native species of only restoring 20 percent of the  
6 median base flow to Puohokamoa Stream?

7           A     Well, it would be a lot better if they could  
8 provide more. But then again, you have the issues of  
9 the diversion themselves, you know, so --

10          Q     You'd want both addressed to deal --

11          A     They would have to be similarly addressed,  
12 yes, yes.

13          Q     Great.

14                 I want to switch to another stream,  
15 Haipuaena, H-a okina i-p-u-a okina e-n-a, Haipuaena.

16                 Now, in the same letter going -- it's -- the  
17 Division of Aquatic Resources ranked Haipuaena as the  
18 sixth highest priority stream for restoration, is  
19 that right?

20          A     Yes.

21          Q     But the Water Commission only restored  
22 20 percent of the base flow to the stream, right?

23          A     Yes.

24          Q     And DLNR did not require any modification of  
25 any of the diversion structures on Haipuaena Stream,



1 did it?

2 A No, it didn't.

3 Q So what's the impact of allowing the  
4 stream -- allowing the diversion structures to remain  
5 in place and not restoring more of the base flow to  
6 the stream?

7 A Well, probably it impacted it because as you  
8 can see, there was no water below the diversion.

9 Q Although if they ordered -- if the Water  
10 Commission ordered 20 percent of the base flow to be  
11 restored, that's still below what the Division of  
12 Aquatic Resources recommended, right?

13 A It was below what we recommended but it  
14 might provide connectivity. So that's another thing  
15 that, you know, we look at.

16 Q Sure. But as you've answered earlier,  
17 there's a significant difference between 64 percent  
18 base flow and 20 percent base flow?

19 A Yes.

20 Q Okay. Hanawi Stream, let me ask you about  
21 that.

22 A Sure.

23 Q Is -- I don't know how to begin this one  
24 in --

25 A It is --

1 Q Oh, yeah. Is Hanawi Stream worthy of  
2 restoration?

3 A Yes. More so, not on the necessary flow  
4 because it has a spring on the lower section of the  
5 stream which provides a lot of the basal flow. And I  
6 think one of the issues more is entrainment and the  
7 diversion itself of how the animals can get past it.

8 Q And that's the Koolau Ditch number 4, is  
9 that right?

10 A I think so.

11 Q Okay. K-4?

12 A K-4.

13 Q And okay. Has the Division of Aquatic  
14 Resources brought this issue to the attention of the  
15 Board of Land and Natural Resources?

16 A We brought it to the Water Commission. And  
17 the landowner had actually put another pipe on the --  
18 on the diversion wall to see if the animals could  
19 come above and move upstream into the area above the  
20 diversion and actually crawl up the diversion.

21 Q So let's back up for a second. You referred  
22 to the landowner?

23 A Yes.

24 Q Do you know if this land is owned by the  
25 state and allow -- is it part of the land that EMI

1 and A&B --

2 A Okay. EMI and A&B that actually leasing the  
3 land, right? So basically they're the ones that  
4 tried to help, provide, you know, some means so the  
5 animals get past.

6 Q Did they do -- did they follow your  
7 recommendations that's in this letter?

8 A As far as notching it, no.

9 Q Have you gone to check to see on whether the  
10 work that they did is sufficient to provide passage?

11 A It would have -- we'd have to monitor it and  
12 we didn't -- we don't have any means of monitoring  
13 it.

14 Q Okay. Would it be unreasonable for the  
15 Division of Aquatic Resources to ask the Board, not  
16 the Water Commission but ask the Board of Land and  
17 Natural Resources to ask for this alteration of the  
18 diversion structure?

19 A I think it would be reasonable.

20 Q Okay. Next question. Next stream is Kolea  
21 Stream which is not in that -- is not in this  
22 letter --

23 A Okay.

24 Q -- I believe. Are you familiar with Kolea  
25 Stream?

1 A Somewhat.

2 Q You know what, let's -- let me give you  
3 this.

4 MR. FRANKEL: What is this, 6 now?

5 MS. WESTON: Yeah.

6 Q (By Mr. Frankel) You're one of the authors  
7 of this report, right?

8 A Yes.

9 Q And does this look like a true and correct  
10 copy of your -- of the report?

11 A Yes, it is.

12 Q Okay. So there is -- well, let me ask you  
13 this. Well, no, I'll back up.

14 Page 6 of the report, the discussion, the  
15 very bottom there. Let me read that last paragraph  
16 to you. It says "Kolea Stream is one of the smaller  
17 streams, but nonetheless has a large potential --  
18 sorry, has a large amount of potential habitat in the  
19 middle and upper reach for *Lentipes concolor* and a  
20 moderate amount of" -- boy, I'm not going to be  
21 able -- maybe you can help me.

22 A *Awaous guamensis*, *Atyoida bisculcata* and  
23 *Neritina granosa*.

24 Q Can you now translate those into Hawaiian  
25 words? What are these species?

1 A Okay. Those are Nakea --

2 Q Oopunakea?

3 A Yeah. The Alamoo -- the first one is Alamoo  
4 and the other one is the Opae and the other one is  
5 Hihiwai.

6 Q Great. It goes on to say "Restoration of  
7 the flow to increase animal passage between  
8 diversions would greatly improve the productivity of  
9 the stream and increase the availability of potential  
10 habitat to native species."

11 A Uh-hum.

12 Q Do you have any reason to disagree with this  
13 paragraph that --

14 A No.

15 Q Do you know if the Division of Aquatic  
16 Resources ever gave a copy of this report to the  
17 Board of Land and Natural Resources?

18 A We gave it to the Water Commission.

19 Q But not to the Board?

20 A No.

21 Q Okay. Okay. Switching to the -- I don't  
22 know how you pronounce the HSHEP model. Is that --  
23 is there a better way of naming --

24 A HSHEP model.

25 Q Okay. That model looked at 16 streams,

1 right?

2 A Yeah.

3 Q Those 16 streams were chosen by the Water  
4 Commission, not the Division of Aquatic Resources,  
5 right?

6 A We had a meeting with them and we agreed on  
7 the selection of streams.

8 Q So you agree those are the 16 that you were  
9 going to look at?

10 A Yeah. And this wasn't with just us. It was  
11 also with Bishop Museum and A&B, you know. So it was  
12 a lot of other folks that were involved in the  
13 meeting to determine which streams we're going to  
14 look at. It wasn't just something that we and CWRM  
15 decided.

16 Q Uh-hum. And so those are the ones that you  
17 folks collectively determined were the most important  
18 ones to look at?

19 A 'Cause they would give the biggest bang for  
20 the buck in return of water.

21 Q Okay. Was a survey completed on each of  
22 those 16 streams?

23 A I believe it was, yes.

24 Q Including Haipuaena?

25 A I think so. Maybe it wasn't on Haipuaena.

1 I know we did 15 streams.

2 Q Right. So why would Haipuaena be excluded?

3 A I don't know.

4 Q Okay.

5 A I mean you're talking 12 years ago.

6 Q That's fair. That's fair.

7 A That's a while back.

8 Q Yeah. All right. I'll talk about  
9 structures now.

10 A Uh-hum.

11 Q What kind of harm can diversion structures  
12 themselves cause?

13 A They can act as barriers to the migration of  
14 native species. They can also entrain.

15 Q And for the non-biologist, entrained means  
16 the same thing basically as capture?

17 A Capture, yes.

18 Q Okay. Those are probably -- are there other  
19 problems that diversion structures cause to stream  
20 ecology or species or those the only two?

21 A Those are two that we kind of look at  
22 besides the diversion of water, yes.

23 Q Sure. Sure.

24 Now, has anyone -- have you or anyone at  
25 Division of Aquatic Resources or DLNR systematically

1 examine, analyzed and evaluated all the diversion  
2 structures on public land in East Maui?

3 A No.

4 Q Okay. Are diversion structures in East Maui  
5 stream still causing problems for native species?

6 A I think they are.

7 Q Okay. Have you had a chance to re-look at  
8 Polhemus' report that's in the draft EIS for the  
9 lease of East Maui lands? We talked about it a  
10 little bit last time. Have you looked at that more  
11 carefully?

12 A His report.

13 Q Uh-hum. It's . . . he uses the model --

14 A Yeah.

15 Q -- to look at -- to evaluate the impact  
16 of -- or compare full restoration, more diversion,  
17 just following the Water Commission's  
18 recommendations, et cetera. Do you -- have you  
19 looked at that recently?

20 A A little bit.

21 Q Okay. So there's 13 streams that are not  
22 affected by the Water Commission's order. Okay? And  
23 that would include Kolea Stream. And he concludes  
24 that -- that the existing diversions reduce habitat  
25 units on those streams from 588,000 square meters to



1 88,386 square meters, a reduction of 85 percent.  
2 Knowing what you do about some or all the streams, is  
3 the reduction of 85 percent, is that going to have a  
4 significant ecological impact?

5 A Yes.

6 Q Okay. Last set of -- my last topic. We  
7 might be done in an hour.

8 MS. WESTON: Could we take a short bathroom  
9 break?

10 MR. FRANKEL: I mean if you really want -- I  
11 just take -- well, I might have follow-up. That's  
12 fine.

13 MS. WESTON: It's been an hour.

14 MR. FRANKEL: Okay, that's fine.

15 MS. WESTON: Thank you.

16 MR. FRANKEL: Sure. Off the record.

17 (Recessed at 9:32 a.m.)

18 (Reconvened at 9:39 a.m.)

19 Q (By Mr. Frankel) I have a last question or  
20 set of questions for you.

21 A Uh-hum.

22 Q Tough one.

23 Can you describe the pressure that was put  
24 on the Division of Aquatic Resources when Laura  
25 Thielen was Chair and Linda Lingle was Governor and

1 the issue of stream restoration was pretty hot. Do  
2 you recall that? Dan Polhemus was in charge.

3 A Yes.

4 Q Describe to me that pressure.

5 A Well, there was pressure definitely and to  
6 the point where the Chair, Laura Thielen, actually  
7 came and talked to us about what our findings were.

8 Q Be more descriptive and specific.

9 A Well, in the sense she was trying to  
10 understand what were we saying so that, you know, she  
11 could provide, you know, get our backs, right? I  
12 mean if she doesn't understand what we're talking  
13 about and she cannot convey it to the commissioners  
14 that, you know, she needs to -- she needs to  
15 understand exactly what we're talking about.

16 Q Sure. Now, did she put pressure on you  
17 folks to change your recommendations?

18 A No, I don't think so. I don't think she  
19 did. I think one of the things was it was a  
20 misunderstanding of how Dan saw stuff versus how we  
21 saw stuff was probably one of the issues.

22 Q So was the staff being more protective of  
23 streams than Dan was or was it vice versa?

24 A I'm not sure the exact but, yeah, it was  
25 kind of a -- just a misunderstanding of what the

1 different values meant. So he didn't fully  
2 understand what we were talking about.

3 Q He didn't -- when you're using the model, he  
4 didn't really have a good grasp --

5 A Yeah, yeah. He didn't have a good grasp of  
6 what we were trying to say when we set those -- those  
7 comments about, you know, recommendations and  
8 whatnot.

9 Q So other than clearing up misunderstandings,  
10 was there actual pressure? What -- when you said  
11 there's pressure, what was the nature of the  
12 pressure? What was trying to be -- other than  
13 clearing up misunderstanding?

14 A Can I be candid?

15 Q Yeah.

16 A Well, she wanted to get rid of Dan Polhemus.  
17 That was it.

18 Q Why?

19 A She wasn't -- she didn't like him.

20 Q Yeah. Okay. Setting aside any personality  
21 differences, was there -- was she unhappy about the  
22 advocacy or recommendations or scientific analysis  
23 being provided by the Division of Aquatic Resources?

24 A No. I think it's just a personal issue.

25 Q Okay. So other than the -- yeah, we all

1 understand that people clash. People have different  
2 personalities. Other than that, was there any other  
3 pressure, political pressure, put on the Division of  
4 Aquatic Resources?

5 A I -- I -- there may have been. I don't  
6 know. I was just a staff member. So I'm not high up  
7 into the organization where, you know, I'm in  
8 administration. And I don't hear a lot of the stuff  
9 that goes on. So if there was pressure, then it was  
10 probably fielded by the administrators as well as the  
11 program managers.

12 Q Did you get the impression that Laura  
13 Thielen or any of the Water Commission wanted to mute  
14 the information or recommendations coming out?

15 A No, no. I think they were sincere in what  
16 they were trying to do to understand what we were  
17 suggesting.

18 MR. FRANKEL: Okay. Thank you. I have no  
19 further questions. Either of you?

20 MS. WESTON: No questions.

21 MS. MARTIN: No questions.

22 MR. FRANKEL: Okay, thank you.

23 (Concluded at 9:43 a.m.)

24 --oo0oo--

25

WITNESS' CERTIFICATE

I, GLENN HIGASHI, certify that I have read the foregoing typewritten pages 1 to 44, inclusive, and corrections, if any, were noted by me, and the same is now a true and correct transcript of my testimony.

Dated: This \_\_\_ day of \_\_\_\_\_, 2020.

\_\_\_\_\_  
GLENN HIGASHI

Signed before me  
this \_\_\_\_\_ day of \_\_\_\_\_, 2020.

\_\_\_\_\_  
  
Sierra Club vs. BLNR, et al.  
Civil No. 19-1-0019-01 JPC  
Deposition of Glenn Higashi  
taken March 3, 2020

## C E R T I F I C A T E

1  
2 STATE OF HAWAII )  
3 CITY AND COUNTY OF HONOLULU ) SS:

4  
5 I, PRISCILLA GONZAGA, Certified Shorthand  
Reporter, do hereby certify:

6 That on March 3, 2020, appeared before me  
7 GLENN HIGASHI, the witness whose deposition is  
8 contained herein; that prior to being examined he was  
by me duly sworn:

9 That the deposition was taken down by me in  
10 machine shorthand and was thereafter reduced to  
11 typewriting; that the foregoing represents, to the  
best of my ability, a true and correct transcript of  
the proceedings had in the foregoing matter.

12 That pursuant to Rule 30(e) of the Hawaii  
13 Rules of Civil Procedure, a request for an  
opportunity to review and make changes to this  
transcript:

14   x   Was made by the deponent or a party (and/or  
15 their attorney) prior to the completion of  
the deposition.

16        Was **not** made by the deponent or a party  
17 and/or their attorney) prior to the  
completion of the deposition.

18        Was waived.

19 I further certify that I am not an attorney  
20 for any of the parties hereto, nor in any way  
concerned with the cause.

21  
22 Dated: This        day of March 2020 in  
Honolulu, Hawaii.

23  
24  
25 Priscilla Gonzaga, CSR # 127



Sierra Club vs BLNR, Department of Land and Natural Resources

CIVIL NO. 19-1-0019-01 JPC (Environmental Court)

Glenn Higashi Deposition 031820 Edits

<u>Page</u>	<u>Line</u>	<u>Edits/Comments</u>
5	21	Manage, protect and restore the state's aquatic resources and ecosystems
8	15	linear meters
12	16	Spring water contributes to the basal flow of the stream
13	10	64% of basal flow required in the stream to sustain spp biological functions (growth, reproduction, etc.)
13	18	USGS not USDS
13	23	64% not 60
13	25	Enough habitat and flow
14	7-8	It was based on an HEP model and over 91,000 animal observations in streams statewide
14	22	The model assumes that habitat quality and quantity are related to the number of animals using a habitat over the long term.
36	23	Kolea Stream is small and steep with a terminal waterfall and as a result has little suitable habitat predicted for the non-climbing animals ('o'opu 'akupa, 'o'opu naniha, 'ōpae 'oeha'a). Although middle and upper reaches has suitable habitat predicted for the climbing animals ('o'opu 'alam'oo, 'o'opu nōpili, hihiwai, 'ōpae kala'ole) from a ranking perspective, Kōlea Stream did not rank highly for the amount of potential suitable habitat for any species in comparison with the other 16 streams in the analysis.



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

WITNESS' CERTIFICATE

I, GLENN HIGASHI, certify that I have read the foregoing typewritten pages 1 to 44, inclusive, and corrections, if any, were noted by me, and the same is now a true and correct transcript of my testimony.

Dated: This \_\_\_ day of Apr 20, 2020, 2020.

*Glenn Higashi*

\_\_\_\_\_  
GLENN HIGASHI *AW*

Signed before me

this \_\_\_\_\_ day of \_\_\_\_\_, 2020.

\_\_\_\_\_

Sierra Club vs. BLNR, et al.  
Civil No. 19-1-0019-01 JPC  
Deposition of Glenn Higashi  
taken March 3, 2020